

Page 1

1 October 7, 2004
 2 (9:37 a.m.)
 3 CHAIRMAN:
 4 Q. Good morning. I believe, counsel, we have
 5 some preliminary matters this morning.
 6 GREENE, Q.C.:
 7 Q. Yes, Mr. Chair, there's two; one is the
 8 schedule for today and tomorrow and the second
 9 thing is responses to undertakings that were
 10 provided yesterday. With respect to the
 11 schedule, in speaking with counsel yesterday
 12 afternoon, there was general consensus that
 13 counsel will be prepared to sit today from
 14 9:30 to 4:30, as well if necessary, tomorrow,
 15 and I understand from Board counsel that that
 16 issue has been put before the Panel.
 17 CHAIRMAN:
 18 Q. Yes, it has. I think in that regard, at least
 19 with regard to today, I wouldn't want to speak
 20 to tomorrow's schedule at least at this
 21 particular point in time, but for today, I
 22 thought that we would go till--break at 12:30
 23 for lunch and reconvene at 1:30. We'll be
 24 taking a break this morning around 10:45 and a
 25 break this afternoon around 3:00 and that

Page 3

1 The first undertaking, and actually I
 2 should say we have a combination, I have
 3 written answers to provide to some and for
 4 two, I will ask Mr. Martin to indicate
 5 verbally what the answers are. The first
 6 undertaking was found on page 126 of the
 7 transcript yesterday. It relates to the cost
 8 benefit analysis that was provided for the
 9 Roddickton Mini Hydro dam. And the first
 10 question with respect to that was, why is the
 11 cost for operators shown in the retire plant
 12 alternative in the analysis on page 2 of the
 13 response that was provided to an information
 14 request. And the information request was IC-
 15 18. So, I have distributed to the clerk, the
 16 written response to that, which indicates that
 17 the assumption is that the Roddickton Mini
 18 Hydro will be in operation for all of 2005 as
 19 we will have to apply to the Board for
 20 approval to decommission it and also apply for
 21 environmental approval with respect to the
 22 decommissioning of the site. And for that,
 23 it's there for all of 2005 and if you look in
 24 that alternative, there is no alternative
 25 energy required from Holyrood because we're

Page 2

1 might be a bit flexible as well. And then go
 2 till 4:30 this afternoon. So, other than
 3 that, I believe there's some undertakings to
 4 be filed from yesterday.
 5 GREENE, Q.C.:
 6 Q. Thank you, Mr. Chair. What our practice has
 7 been during Capital Budget hearings and during
 8 the General Rate Application is to provide
 9 generally the following day, the responses to
 10 undertakings that we have available and then
 11 that way--for example, in this particular
 12 case, counsel for the Industrial Customers can
 13 still follow up in cross-examination if they
 14 deem that necessary with the members of the
 15 Panel. So at this particular time we are
 16 ready to respond to five of the seven
 17 undertakings that were given yesterday. And
 18 as usual, the number of undertakings and the
 19 page numbers are not necessarily the same as
 20 what's shown in the transcript, because
 21 sometimes the transcriber misses where we
 22 have--we don't use the word undertaking, but
 23 we do give a commitment to give an answer. So
 24 there are actually seven undertakings from
 25 yesterday.

Page 4

1 assuming the plant will be there for the full
 2 year. So that one has been distributed and I
 3 guess it should be marked U-Hydro No. 1.
 4 CHAIRMAN:
 5 Q. Very good.
 6 GREENE, Q.C.:
 7 Q. The second undertaking that was given
 8 yesterday was with respect to the same cost
 9 benefit analysis that was filed in response to
 10 IC-18, and it related to the explanation of
 11 the capacity number of \$13,113 shown on IC-18,
 12 again, in the retire plant alternative. That
 13 has been distributed in writing which points
 14 out that the Roddickton Mini Hydro is part of
 15 the overall capacity and energy capability of
 16 the system. It is taken into account when we
 17 do the loss of load criteria for system
 18 planning purposes. If the plant is to be
 19 removed, we will have 400 less kilowatts
 20 available to meet the system requirements. So
 21 in looking at when our next source of capacity
 22 is required, it is 2011. The \$13,113 is the
 23 levelized annual cost for that particular
 24 capacity which Hydro will have to provide for.
 25 In addition to meeting new forecast low growth

Page 5

1 GREENE, Q.C.:

2 in 2011, we will be short the 400 kilowatts

3 that Roddickton does provide to us. So that

4 answer has been distributed in writing and it

5 should be marked U-Hydro No. 2.

6 CHAIRMAN:

7 Q. Very well. So marked.

8 GREENE, Q.C.:

9 Q. The next undertaking is found on page 134 of

10 the transcript and it related to the budget

11 proposal in B-103 where there was work to be

12 done at Baie Verte, Sop's Arm and Bay D'Espoir

13 for line depots and sheds. We were asked for

14 the type of work that was being done with a

15 breakdown. What we have provided in written

16 form is a breakdown for each of the three

17 areas. For example, you will see under Baie

18 Verte we have a new storage shed for 29. 9

19 thousand. For the line depot, there is new

20 siding, new roof, new steel door, new windows.

21 The building is already fully depreciated and

22 this work extends the life of that building

23 and that's 24,000 for a total of 54,000. At

24 Sop's Arm we have a similar situation as Baie

25 Verte. We have the new storage shed for 16. 8

Page 7

1 (9:45 a.m.)

2 MR. MARTIN:

3 A. Yes, thank you, Ms. Greene. As I mentioned

4 yesterday, there are some general guidelines

5 that we use for the light mobile equipment.

6 For snowmobiles it's basically an age

7 consideration. All of these are age

8 considerations; five to seven years for

9 snowmobiles; five to seven years for ATV's.

10 For light trailers associated with both ski-

11 doos or snowmobiles and ATV's, 10 to 12 years.

12 Heavy trailers for poles, reels of conductor,

13 muskegs and so on, 10 to 12 years. And

14 backhoe attachments which are again less than

15 \$50,000, again 10 to 12 years. I'd like to

16 just confirm what I said yesterday. These are

17 again only triggers to have a further review

18 of those items and in the end it's the

19 ultimate condition and maintenance cost and so

20 on which will determine whether or not those

21 are actually replaced.

22 CHAIRMAN:

23 Q. I don't know if you indicated, Ms. Green, the

24 third written response, that was marked Hydro

25 3, I presume.

Page 6

1 thousand; upgrading of the line depot. Again,

2 it's new siding, new windows, replace with a

3 steel door, a concrete pad. The existing

4 building is already fully depreciated and this

5 work extends the life of the building for 19.9

6 or a total of 36.7 thousand for Sop's Arm.

7 And in Baie D'Espoir there is an actual

8 extension to an existing building for 60,000

9 for the total of 151,000.

10 The next undertaking given yesterday is

11 found on page 148 of the transcript and it

12 related to the criteria for light duty mobile

13 equipment.

14 CHAIRMAN:

15 Q. What was the page number again, Ms. -

16 GREENE, Q.C.:

17 Q. 148 and it's shown there on line 21 on page

18 148. You really have to read above that to

19 get the sense of what the undertaking is. We

20 were asked to provide the criteria for light

21 duty mobile equipment. And in this particular

22 case, Mr. Martin is now in a position this

23 morning to advise what our criteria is for the

24 replacement of light duty mobile equipment.

25 Mr. Martin, please.

Page 8

1 GREENE, Q.C.:

2 Q. Thank you. I may have forgotten. That one

3 with respect to the line depots in B- 103

4 should be marked U-Hydro No. 3.

5 The next undertaking also related to

6 mobile equipment and it's found on page 150

7 which is undertaking number five. And the

8 undertaking there is shown on line seven and

9 it related to whether the proposal for 2005,

10 there were any new light duty mobile equipment

11 being purchased other--a totally new item

12 versus a replacement and whether going to be

13 in any new locations. Are you in a position

14 to respond to that, Mr. Martin?

15 MR. MARTIN:

16 A. Yes, I am. We do have one additional item

17 that is new to our fleet being added to a new

18 location and that's--we have \$10,000 in the

19 total of, I believe it's \$260,000 for a light

20 motorized carrier to be used at the Holyrood

21 generating station. Again, it's estimated at

22 \$10,000. This is a small motorized vehicle

23 that would be used in and outside the plant to

24 transport heavy equipment and items such as

25 pumps, any heavy tools and equipment around

Page 9

1 MR. MARTIN:
 2 the site and including inside the plant at the
 3 Holyrood generating station. That's the only
 4 additional item proposed in next year's
 5 budget.
 6 Q. And the others will be replacement of existing
 7 pieces of light duty mobile equipment, is that
 8 correct?
 9 MR. MARTIN:
 10 A. At existing sites, that's correct.
 11 Q. That completes the responses to five
 12 undertakings. There are two remaining; one is
 13 on page 180, number 6 undertaking which
 14 relates, I call it the reconciliation of B-83
 15 from last year with B-147 from this year,
 16 relating to vehicles and the average age of
 17 the vehicles being replaced and the average
 18 kilometers for the vehicles being replaced.
 19 And the other is undertaking number seven
 20 which is found on page 190 of the transcript
 21 relating to the transmission line work being
 22 done for 2005 under the wood pile management
 23 program. We believe we will be in a position
 24 to respond to them after the break this
 25 morning, but certainly, today.

Page 11

1 facility. And that shows what I think should
 2 be a similar figure or similar--figure derived
 3 in a similar fashion for capacity charges, and
 4 that relates to 590 kilowatts and the number
 5 is \$45,895. So if we could get some
 6 explanation of the \$13,113 which would allow
 7 us to reconcile that with the \$45,895 -
 8 MR. COXWORTHY:
 9 Q. Appendix 1, I believe, Mr. Hutchings.
 10 HUTCHINGS, Q.C.:
 11 Q. Appendix 1, yes, of -
 12 MR. COXWORTHY:
 13 Q. Section G.
 14 HUTCHINGS, Q.C.:
 15 Q. Section G, Tab 2. No, it's appendix C, I'm
 16 sorry, "Detailed Economic Analysis", second
 17 page has a similar type of economic analysis
 18 as was produced in IC-18. And I can't
 19 reconcile the two numbers and I was looking
 20 for the calculation of at least one so we
 21 could see if we can get those two together and
 22 understand exactly what the charges -
 23 CHAIRMAN:
 24 Q. You're trying to reconcile the numbers with
 25 what? I mean -

Page 10

1 CHAIRMAN:
 2 Q. Thank you.
 3 GREENE, Q.C.:
 4 Q. Thank you, Mr. Chair, that concludes the
 5 preliminary comments.
 6 CHAIRMAN:
 7 Q. Thank you, Ms. Greene. Mr. Coxworthy.
 8 HUTCHINGS, Q.C.:
 9 Q. Mr. Chair, just in response to what my friend
 10 has presented and specifically with respect to
 11 U-Hydro 2 where we had asked for the
 12 explanation of the capacity charge in
 13 connection with the retirement, potential
 14 retirement of the Roddickton Mini Hydro plant
 15 or that scenario in the analysis, I had hoped
 16 for some explanation of the calculation of
 17 that \$13,113 amount rather than simply a
 18 statement that it was the levelized annual
 19 cost of that particular capacity and just so
 20 we're on the same page with this, in
 21 connection with the Snook's Arm penstock
 22 replacement project, there's a report at Tab
 23 G, Section G, Tab 2, that does a similar type
 24 of economic analysis in respect of the
 25 replacement or retirement of the Snook's Arm

Page 12

1 HUTCHINGS, Q.C.:
 2 Q. To reconcile the number in IC-18 with the
 3 number in Section G, Tab 2, the "Detailed
 4 Economic Analysis" in appendix C of the report
 5 on Snook's Arm wood stave penstock.
 6 GREENE, Q.C.:
 7 Q. Mr. Chair, I think we're in a position to
 8 respond to the \$13,000 if he wants that level
 9 of detail for that actual calculation. Mr.
 10 Haynes will be speaking with respect to
 11 Snook's Arm and will be in a position to
 12 explain the number for Snook's Arm. The
 13 \$13,000 is the annual cost associated with the
 14 capital for the 400 kilowatts. It's the
 15 interest in the depreciation on an annual
 16 basis for that particular amount of capacity.
 17 In fact, we had a discussion that we could
 18 have used the total amount of the capital cost
 19 rather than just the annual carrying cost with
 20 respect to it, which would have made, of
 21 course, the cost benefit analysis look better.
 22 And I believe Mr. Martin would be in a
 23 position to explain the calculation of the
 24 \$13,000 now, as well as what I just said if
 25 that is Mr. Hutchings' desire. And Mr. Haynes

Page 13

1 GREENE, Q.C.:

2 will speak to the calculation for Snook's Arm.

3 CHAIRMAN:

4 Q. All right. That should suffice, I think, Mr.

5 Hutchings.

6 HUTCHINGS, Q.C.:

7 Q. I think that will be helpful, yes.

8 CHAIRMAN:

9 Q. Mr. Martin.

10 MR. MARTIN:

11 A. As I understand it, the \$13,113 is as was

12 expressed in the response filed this morning.

13 The levelized cost associated with 400

14 kilowatts of the 50,000 kilowatt capacity for

15 the 50 megawatt gas turbine, combustion

16 turbine that we would have to install in 2011

17 to meet new capacity requirements, it's just a

18 percentage, a ratio of the 400 kilowatts to

19 the 50,000 kilowatts for that new gas turbine.

20 That's my understanding of it.

21 Again, the capacity that was used in the

22 analysis for Snook's Arm no doubt was the

23 capacity of that plant and I think it was 5 to

24 6 hundred kilowatts against whatever

25 replacement, I assume again it was a 50

Page 15

1 the response that was made to RFI IC-21 in

2 relation to that project. In IC-21 there was

3 requested particulars with respect to recorded

4 temperatures which apparently, according to

5 IC-21 were not formally documented. There are

6 ranges of temperatures provided in IC-21 and

7 it wasn't clear to me whether those were 2004

8 or 2003 temperatures. Are you able to clarify

9 that?

10 MR. MARTIN:

11 A. Yes. These were all recorded in 2004.

12 Q. Thank you. Would it be expected or normal

13 practice if this was a matter of concern at

14 this particular site, the temperatures,

15 humidity, to have some sort of formal means of

16 recording that, whether it would be filing

17 some sort of problem report in respect of

18 that, would that be a normal practice within

19 Hydro?

20 MR. MARTIN:

21 A. I think your reference to it not being

22 formally documented is in response to the

23 first sentence in the answer. And that is in

24 direct relationship to the complaints that we

25 had actually received. We had set up

Page 14

1 megawatt gas turbine which would account for

2 the difference in the numbers. I hope that

3 helps, Mr. Chair.

4 HUTCHINGS, Q.C.:

5 Q. Perhaps it will be better for me to have that

6 explored with Mr. Haynes because, you know, if

7 it is in fact intended to be proportional, the

8 numbers don't work.

9 CHAIRMAN:

10 Q. All right. Well you can file that with Mr.

11 Haynes later.

12 HUTCHINGS, Q.C.:

13 Q. Yes.

14 CHAIRMAN:

15 Q. Mr. Coxworthy.

16 MR. COXWORTHY:

17 Q. Thank you, Mr. Chairman. Good morning, Mr.

18 Holden, Mr. Martin. I had the opportunity to

19 review the transcript with respect to where we

20 ended off with the fall arrest equipment B-77

21 and I'm prepared to move on from that project

22 having reviewed that transcript, to the next

23 project, B-101, the air conditioning at

24 Whitbourne and Stephenville.

25 And I'd like to first make reference to

Page 16

1 recording devices out there and there were

2 hourly readings taken at both of those

3 locations, both temperature and humidity

4 throughout the summer of 2004, and all of

5 those temperatures are documented and

6 recorded.

7 Q. Thank you.

8 MR. MARTIN:

9 A. You're welcome.

10 Q. So does Hydro know how many days then in 2004,

11 to use that example, that temperatures and

12 humidity exceeded the ASHRAE standards that

13 are referred to in IC-21 in the last paragraph

14 of IC-21. Do we know that information?

15 MR. MARTIN:

16 A. I'm reluctant to say that we have it on a

17 daily basis although from the answer to this

18 question here, we obviously did record them on

19 a daily basis. If you're referring to the

20 ASHRAE standards down below of 20 to 22

21 degrees, 45 to 55 percent humidity, I am

22 fairly confident that we should be able to

23 provide that level of detail should you so

24 desire.

25 Q. Are the ASHRAE standards, do you know,

Page 17

1 MR. COXWORTHY:
 2 guidelines as opposed to--and when I say
 3 guidelines, where there is some range of
 4 (unintelligible) which is understood that can
 5 be followed, that there is margins outside of
 6 the temperatures and humidity ranges that are
 7 given there that are acceptable in certain
 8 circumstances or are they a strict standard,
 9 where all work places of this type, office
 10 work type places, have to be within those
 11 strict ranges?
 12 MR. MARTIN:
 13 A. I think in responding to that it's necessary
 14 to understand this is not a regulation, this
 15 does not have to be done by law or any
 16 regulatory arena. This is an engineering
 17 standard that's set up to guide engineers and
 18 others, architects and so on, in the design of
 19 facilities. And my understanding of the
 20 ASHRAE standard is that the recommended
 21 temperature and relative humidity levels in an
 22 office environment are those as stated in the
 23 response to the RFI and that again are 20 to
 24 22 degrees Celsius with a relative humidity
 25 between 45 and 55 percent.

Page 19

1 have air conditioning systems at our Hydro
 2 place offices here in St. John's. We've, in
 3 the past upgraded our facilities at Bishop's
 4 Falls and Port Saunders to include air
 5 conditioning where it's become obvious that
 6 the working conditions there are not
 7 acceptable. Whether I can say that all of our
 8 facilities are up to standard, these two
 9 obviously aren't. These would certainly
 10 complete the major office areas that we have
 11 on our system. All the others would have been
 12 done.
 13 Q. So, all your other major office spaces have
 14 been air conditioned, other than these two?
 15 MR. MARTIN:
 16 A. The only one that comes to my mind that I'm
 17 not completely sure of would be the Happy
 18 Valley office and I'm not sure if we have air
 19 conditioning up there or not to be quite frank
 20 with you. It hasn't been an issue that I'm
 21 aware of. So, we either have it or it's not
 22 an issue.
 23 Q. I think you've just described both the
 24 Whitbourne and Stephenville as being major
 25 office spaces?

Page 18

1 Q. Do we know how many--like, if there wasn't
 2 formal documentation, there is a reference to
 3 there being numerous complaints, are you able
 4 to give us any indication, does that mean two
 5 complaints per site, ten complaints, more than
 6 ten?
 7 MR. MARTIN:
 8 A. Again, I can't quantify them. I can tell you
 9 that there have been complaints for both of
 10 these areas for a number of years now and I
 11 would suggest some of these probably date back
 12 15 years or more. I can tell you that I was
 13 out at the Whitbourne office on July 31st of
 14 this year. The temperature in the office
 15 building then where our people were trying to
 16 work was 30 degrees Celsius. It was extremely
 17 uncomfortable. I was sweating profusely just
 18 stood up in the middle of the office about ten
 19 feet from a fan. These are intolerable
 20 working conditions and they have to be
 21 corrected.
 22 Q. Are all Hydro facilities in conformance with
 23 ASHRAE standards?
 24 MR. MARTIN:
 25 A. I can't say that they all are. We certainly

Page 20

1 MR. MARTIN:
 2 A. Yes.
 3 Q. Okay. To what extent are those office spaces
 4 used during the day, are there staff that are
 5 in there for their whole work day working in
 6 that space most days?
 7 MR. MARTIN:
 8 A. Yes, we have office staff out there that are
 9 there on an eight hour a day basis, five days
 10 a week. Many of our supervisors out there
 11 work out of their offices on a daily basis.
 12 We also have crews out there. There's meeting
 13 rooms out there for safety meetings, group
 14 meetings and so on. The facilities at
 15 Whitbourne and Stephenville are used by
 16 numerous people on a daily basis.
 17 Q. The crews obviously would be in and out. How
 18 many of the staff though at these two offices
 19 are there, not crews, not personnel that are
 20 typically in and out on a frequent basis but
 21 are using the office space as their primary
 22 work space, day in, day out?
 23 MR. MARTIN:
 24 A. I would estimate, and again I'm estimating, I
 25 can get a more exact figure if you need.

Page 21

1 MR. MARTIN:
 2 We're talking something in the order of a half
 3 dozen people at least at each of these sites.
 4 Q. In each of them?
 5 MR. MARTIN:
 6 A. That use--obviously they're permanent office
 7 fixtures on a daily basis.
 8 Q. The lack of air conditioning has been
 9 tolerated, it certainly has been existing
 10 since 1974, is that correct, in both of these
 11 spaces?
 12 MR. MARTIN:
 13 A. That's correct.
 14 Q. Is there any reason why this has become an
 15 essential capital expenditure for 2005?
 16 (10:00 a.m.)
 17 MR. MARTIN:
 18 A. Only in the fact I think that it's my
 19 understanding at least, that the number of
 20 complaints have been increasing and I
 21 experienced it firsthand to be quite frank
 22 with you. Now that's not the overriding
 23 factor but I was really surprised to go out
 24 there in the middle of or at the end of July
 25 and see what kind of working conditions those

Page 23

1 just were not workable solutions. Our
 2 engineering people are convinced that the only
 3 way to address this problem once and for all
 4 is to put in a central air conditioning system
 5 that completes the job, if you will, and does
 6 the necessary conditioning of the air at those
 7 facilities to bring it to a reasonable level
 8 of comfort.
 9 Q. Thank you, Mr. Martin. Mr. Chair, if I may
 10 move on now to Project B-109 which is the
 11 replacement of the Nodwell heavy duty vehicle
 12 and boom.
 13 Further to the project justification that
 14 appears on B-109, it's stated that both of
 15 these units, both the Nodwell and the boom
 16 have reached the end of their useful life.
 17 Are they still operational, are they still
 18 being utilized?
 19 MR. MARTIN:
 20 A. No, they are not.
 21 Q. Okay. They've been retired out of service?
 22 MR. MARTIN:
 23 A. Yes, they both have.
 24 Q. As of when?
 25 MR. MARTIN:

Page 22

1 folks had to put with it. It probably and
 2 should have been done before. It wasn't.
 3 That doesn't make it right. And what we're
 4 trying to do is correct a problem that needs
 5 to be corrected.
 6 Q. Is it anticipated that both the Whitbourne and
 7 Stephenville sites will continue to be used as
 8 major office space for the foreseeable future?
 9 MR. MARTIN:
 10 A. Yes, it is.
 11 Q. Has there been any consideration given in
 12 respect to either of those sites to whether
 13 there is some more costly means of achieving
 14 some relief to the environmental conditions
 15 out there, whether it's insulation of windows
 16 or something short of the expense of an air
 17 conditioning system?
 18 MR. MARTIN:
 19 A. We had our engineering people look at that.
 20 As a matter of fact, I believe in the
 21 Whitbourne office we actually tried one of
 22 these window-mounted air conditioning units.
 23 It didn't work. It didn't cool the office.
 24 It was noisy. Our people had to turn it off
 25 to be able to converse on the phone. They

Page 24

1 A. As of last year. I should point out -
 2 Q. So what has--I'm sorry.
 3 MR. MARTIN:
 4 A. No, I think it would be interesting to the
 5 Board to understand that the last two times we
 6 tried to get this piece of equipment to a job
 7 site we failed. And it's bad enough if you're
 8 using it to go out and do routine maintenance
 9 but if you want to respond to a major outage
 10 or a critical situation out there to take this
 11 type of equipment out, only to have it
 12 unavailable, it just acerbates the problem.
 13 It--these are very important pieces of
 14 equipment that we need to maintain the system
 15 reliability that our customers demand. And we
 16 had no choice but to replace them.
 17 Q. Does Hydro have, at either this site or any
 18 other sites, any equivalent pieces of
 19 equipment?
 20 MR. MARTIN:
 21 A. Do you mean with the 100 foot boom, the
 22 Nodwell with the 100 foot boom?
 23 Q. A Nodwell with a boom of 57 feet or longer.

Page 25

1 MR. MARTIN:
 2 A. No, we have one Nodwell with a 47 foot boom
 3 and a 10 foot jib on it which gives us a 57
 4 foot reach, vertically. We have two other
 5 Nodwells with 47 foot booms. A lot of our
 6 steel structures are between 60 and 85 feet
 7 high. They cannot be accessed with those
 8 pieces of equipment and this becomes extremely
 9 important when we have failures of structures,
 10 the structures are iced up and our line
 11 workers do not climb them. This is when this
 12 piece of equipment will really kick in and pay
 13 for itself in no time flat.
 14 I have a couple of pictures here if the
 15 Board would indulge me, of some of the things
 16 we--our linemen encounter out on the field at
 17 various times. This is a 230 kV structure on
 18 our transmission line TL-228 where obviously
 19 the bridge on the top of the structure has
 20 collapsed under icing conditions. It's
 21 difficult to see from this photo but this
 22 tower is encased in glaze ice, perhaps an inch
 23 or a half inch of glaze ice making the tower
 24 impossible to climb. A 47 foot boom or a 57
 25 foot boom will not get anybody up there. The

Page 27

1 it.
 2 Q. So at present, Hydro doesn't have any Nodwell
 3 with 100 foot boom, is that correct?
 4 MR. MARTIN:
 5 A. That's correct.
 6 Q. So how have you been addressing these types of
 7 issues then for however many years it will
 8 have been when they do occur? I mean do you
 9 always wait then until the summer months to
 10 deal with these issues?
 11 MR. MARTIN:
 12 A. No, we don't necessarily have to wait till the
 13 summer months. If we got into a situation
 14 like this in the middle of the winter or early
 15 spring, we would typically have to wait until
 16 the ice melted off the tower and go and fix
 17 it. And we have done that. On one occasion I
 18 do remember up behind Oxen Pond terminal
 19 station here in St. John's we had a similar
 20 occurrence where a tower failed at the bridge
 21 like this. Our own equipment was inadequate.
 22 We were fortunate enough that the tower was
 23 very close to the terminal station and we were
 24 able to source a piece of rental equipment
 25 from a local crane company that allowed us to

Page 26

1 only answer to try and repair this tower is
 2 either wait until the ice melts and falls off
 3 allowing our crews to climb, or bring in a
 4 piece of equipment that will allow us to boom
 5 them up there to try and effect repairs. This
 6 is basically what we're looking for this
 7 particular item for. It will be critical if
 8 we ever get into these types of situations
 9 again. I actually believe on this particular
 10 case and I stand to be corrected on this
 11 stuff, but I think we were out for four or
 12 five days in trying to get this structure
 13 repaired because we just couldn't get up there
 14 to effect the work.
 15 Q. And this is a structure that can only be
 16 repaired with a 100 foot boom equipped
 17 Nodwell?
 18 MR. MARTIN:
 19 A. I'm not saying it could only be repaired with
 20 that. There is no piece of equipment on the
 21 island that I know of we could go and source
 22 or rent. Most of the cranes as you'll
 23 appreciate are for on-road or, you know,
 24 they're retired vehicles and so on. And our
 25 47 foot booms, 57 foot booms just wouldn't cut

Page 28

1 get up and repair the structure. But had it
 2 been further away from the road and
 3 inaccessible, we would have again had to wait
 4 until either the ice cleared until we could
 5 get up there and fix it.
 6 Q. So you have made inquiries and up to present
 7 time there's no opportunity to rent or lease
 8 this type of equipment, heavy duty track
 9 equipment with 100 foot boom?
 10 MR. MARTIN:
 11 A. That's correct.
 12 Q. You've said that this particular piece of
 13 equipment to be replaced has been retired
 14 since 2003, so has it been a question of Hydro
 15 then making do with the remaining equipment
 16 that you described that you do have, the other
 17 Nodwells?
 18 MR. MARTIN:
 19 A. That's correct.
 20 Q. The photograph you're showing us here of the
 21 damaged tower, do you know when that was, when
 22 that was taken?
 23 MR. MARTIN:
 24 A. I believe that was 1984, but again, I stand to
 25 be corrected on that.

Page 29

1 MR. COXWORTHY:
 2 Q. Is that a spectacular or unusual failure even
 3 that we're seeing there or is that a common
 4 one?
 5 MR. MARTIN:
 6 A. It's not common, thank heavens. We typically
 7 have seen these. This is part of the reason
 8 why we did the Avalon upgrade in early 2000.
 9 This is most prevalent or has been most
 10 prevalent on the Avalon peninsula where it's
 11 been--I guess we've seen incidents like this
 12 on an average of every eight years. We've
 13 seen it on--again, this is TL-228 on the west
 14 coast of the province and we've seen
 15 occurrences of this nature on the Buchans
 16 plateau and other places. It's not rare,
 17 thank heavens it's not frequent. It's--we see
 18 it, it's on an infrequent basis but when we do
 19 see it, I think it's somewhat spectacular.
 20 The consequences of this--if I could just take
 21 Mr. O'Rielly--could you take me to the front
 22 page of that presentation. I just want to--
 23 this picture here, we've seen it several times
 24 I guess throughout the hearing. If you look
 25 on the left hand side, this is a 138 kV

Page 31

1 bog and harsh ground, yes.
 2 Q. With the other Nodwells that remain in the
 3 Hydro fleet, is there any means of
 4 retrofitting those to fit them with 100 foot
 5 boom?
 6 MR. MARTIN:
 7 A. My understanding is if we tried to do that we
 8 would have to perhaps re-engineer and re-
 9 manufacture the chassis. You're talking about
 10 a significant difference in the boom going
 11 from 47 feet to 100 feet. We're not even sure
 12 that that can be done, we're not sure of the
 13 cost of that. The most practical solution to
 14 all of this is to go out and get the Nodwell
 15 we're replacing which is still a piece of work
 16 equipment, it's 31 years old, the boom was 26
 17 years old--from our perspective it only makes
 18 sense to go out and buy a completely new piece
 19 of equipment that can handle this type of
 20 situation for at least hopefully another 30
 21 years or more.
 22 Q. Do you know what the difference in cost is
 23 between buying a new Nodwell with the 57 foot
 24 boom which this one had, the difference in
 25 price between that and what's being proposed

Page 30

1 structure on the west coast on TL-214 that we
 2 were upgrading this summer. And you'll see
 3 that the two line workers, and I'm sure you'll
 4 appreciate this is why these guys are the
 5 heroes of our business. They're up about 70
 6 or 75 feet replacing insulators on that
 7 particular structure. If you put those
 8 gentlemen out in the field under conditions
 9 that we just saw in that structure on TL-228,
 10 there was no way they can get up there to do
 11 any work, it's just impossible. This is a
 12 radial line that feeds the southwest coast of
 13 the province. If we get into a situation like
 14 this in the middle of the winter or early
 15 spring where we get these towers iced up and
 16 fail, we're out of business until the ice
 17 melts, without this piece of equipment. It
 18 could mean the difference of several hours in
 19 getting it repaired, to several days. That's
 20 the reason we want this particular item.
 21 Q. And really, the important thing is to have the
 22 100 foot boom on a reliable carrier, is that
 23 fair?
 24 MR. MARTIN:
 25 A. A reliable carrier that can get you in over

Page 32

1 which is the Nodwell with the 100 boom?
 2 MR. MARTIN:
 3 A. The extra extension on the boom from the 57
 4 feet to 100 feet is in the order of \$150,000.
 5 Q. So there's no difference then in the carrier.
 6 If you were to buy a new carrier, a new heavy
 7 duty off-road vehicle today for a 57 foot
 8 boom, there'd be no difference in the price of
 9 that carrier and the carrier that you would be
 10 purchasing for 100 foot boom?
 11 MR. MARTIN:
 12 A. I don't think I'm qualified to answer that
 13 question.
 14 Q. You don't know.
 15 MR. MARTIN:
 16 A. I don't know.
 17 Q. The only additional cost here you're certain
 18 of is the \$150,000 associated with the longer
 19 boom?
 20 MR. MARTIN:
 21 A. That's correct.
 22 Q. Mr. Chair, if we may move on then to B- 110
 23 which is the purchase of the Mobile Oil
 24 Reclamation Unit. And if I may make reference
 25 then as well to the response to RFI, IC-76.

Page 33

1 MR. COXWORTHY:
 2 And we were--we asked by IC-76 whether a cost
 3 benefit analysis had been completed in respect
 4 of this project and the response was that
 5 there was no formal cost benefit analysis done
 6 for proposal. One of the savings that is
 7 identified is that the purchase will reduce a
 8 labour requirement from having three workers
 9 to two workers. But has that cost benefit of
 10 that saving been measured against a \$530,000
 11 capital expenditure plus the future operating
 12 and replacement cost of this particular piece
 13 of equipment?
 14 MR. HOLDEN:
 15 A. If I could answer that question. The cost
 16 component associated with the fewer people on
 17 site is not the major issue here related to
 18 the cost benefits to buying this equipment
 19 over renting it. The big benefits here are as
 20 we pointed out in our explanation, is the
 21 benefits of the cost per unit for the unit to
 22 process the transformers related to what we
 23 would have to pay if we had to rent those
 24 services. That's the big benefit. And as you
 25 see in our explanation when you just looked at

Page 35

1 or in the province of Newfoundland and
 2 Labrador that has this piece of equipment.
 3 You have to rent this and it gets brought in
 4 from central Canada mostly. And those
 5 contractors then have to schedule our services
 6 against all the other services they have to
 7 provide elsewhere in the country, and
 8 particularly I guess they operate from west to
 9 east. So, there you have restrictions then on
 10 when the equipment is available to you and in
 11 the last couple of years when we were doing
 12 this, our schedules for when we could get the
 13 services were quite strict. And strict in the
 14 sense that we can only do it in the first two
 15 weeks of August. Shut down your plants, do
 16 what you have to, that's the only time this
 17 piece of equipment is available. So we're
 18 really restricted in the number of
 19 transformers that we could process. So that's
 20 one of the other big benefits to owning the
 21 equipment ourselves rather than buying the
 22 services.
 23 Q. Thank you, Mr. Holden. As you've pointed out,
 24 in the operating experience for this project,
 25 you've indicated that there was a recent

Page 34

1 those costs by themselves, it's something in
 2 the order of--what was the pay back period
 3 that we quoted there, eight to ten years at
 4 least, if we were able to do four or five
 5 units a year. But with our own equipment we
 6 expect to be able to do more than four or five
 7 units per year and of course the cost benefit
 8 then of owning our own equipment as opposed to
 9 buying the services is much greater than that.
 10 And so that's the main component in the cost
 11 benefit, it's just a straight comparison of
 12 dollars. The added benefits then are in
 13 relation to the number of workers that we have
 14 required to perform the operation. We still
 15 have to have one man on site to hold the
 16 safety permits and everything while the
 17 equipment is in service and then there's only
 18 another man then, another employee from Hydro
 19 to help operate the equipment. So you have
 20 the--the lesser labour cost is a minor
 21 component. The big advantage is the dollars
 22 per unit for processing and also the
 23 flexibility and availability of it. And with
 24 respect to flexibility and availability,
 25 there's no one on the island of Newfoundland

Page 36

1 service contract for oil regeneration in
 2 respect of Bay D'Espoir where there was a cost
 3 of \$150,000 with an average cost of \$50,000
 4 per transformer. I believe those are the
 5 numbers you're referring to in comparing the
 6 relative cost and pay back periods for
 7 continuing with that out sourcing as opposed
 8 to doing it yourselves.
 9 MR. HOLDEN:
 10 A. Yes, those are the costs that we use to make
 11 the analysis or make the comparison.
 12 Q. That example that's given, of the \$150,000 for
 13 the recent work in Bay D'Espoir, is that
 14 representative of how much it would cost to do
 15 this oil regeneration work for any transformer
 16 or was there something particular to that
 17 project that resulted in the cost being higher
 18 than it might otherwise?
 19 MR. HOLDEN:
 20 A. That cost there of \$50,000 per transformer is
 21 representative of the cost that we had to pay
 22 in the last couple of years. It's a very low
 23 price when you consider that the service
 24 contractors are getting more and more business
 25 all the time from other utilities in the

Page 37

1 MR. HOLDEN:
 2 country because their transformers are aging
 3 as well and this business is coming up and
 4 these costs are going to go up, just on basic
 5 demand and also on availability. So these
 6 contractors who are providing this service
 7 now, they're operating out of Ontario and
 8 Quebec and there's much more business there in
 9 Ontario and Quebec for them to provide the
 10 service. And their costs to come down here
 11 are higher than what they would be to provide
 12 those same services in Ontario and Quebec. So
 13 these costs here, in our opinion, are lower
 14 than what we would see in the future. We
 15 would see much higher prices than this in the
 16 future because of the increased demand on the
 17 equipment and the increasing progression of
 18 age by utility equipment and other utilities.
 19 Q. Thank you, Mr. Holden. Mr. Holden, do you
 20 know whether the cost for the Bay D'Espoir
 21 project, the \$150,000, whether that was less
 22 expensive per unit, per transformer because
 23 more than one transformer was being done at
 24 one time, would it have been a higher per
 25 transformer cost if only one or two

Page 39

1 outages on the units with the load profile on
 2 the system and take advantage of the outages
 3 that we couldn't by purchasing the services
 4 from a contractor.
 5 Q. Mr. Holden, even with that additional
 6 flexibility that you would have with owning
 7 your own unit, I think you're anticipating
 8 still only being able to do four to five
 9 transformer units per year?
 10 MR. HOLDEN:
 11 A. No. We're anticipating that we should be able
 12 to do more than four or five. And again, that
 13 depends on the outage availabilities that we
 14 have. But we can coordinate that much better
 15 now and we could see more transformers being
 16 processed here on a yearly basis.
 17 Q. Okay. Well, the project justification speaks
 18 of a regeneration program of four to five
 19 units per year. How many more than that are
 20 you anticipating may be able to be done per
 21 year if you have your own unit?
 22 MR. HOLDEN:
 23 A. If we have our own unit, we can increase that
 24 number, by how much it's difficult to quantify
 25 because you would have to look at the outage

Page 38

1 transformers were being worked on?
 2 MR. HOLDEN:
 3 A. Yes, it certainly would have been because the
 4 contractor would have to trade off his costs
 5 against the number of units that he was
 6 processing because he has to pay for the
 7 mobilization from Ontario to Bay D'Espoir. So
 8 what we were trying to do here and it's as
 9 much as we could do because of the very strict
 10 outage requirements, it's as much as we could
 11 do to stretch out to get three units to keep
 12 the cost per unit down. And we couldn't
 13 tolerate any more because we couldn't take the
 14 transformers out of service in that short time
 15 period because the contractor would come down,
 16 mobilize, come down and do one, two, three
 17 transformers right in a row and then get out
 18 of town as fast as they could. So we can't
 19 take the whole plant, Bay D'Espoir plant off
 20 service and process all the transformers on
 21 one mobilization. However, if we had our own
 22 piece of equipment, we have much more
 23 flexibility in doing that and we'd be able to
 24 stage these processes now over the whole year
 25 and probably on the off season coordinate the

Page 40

1 availabilities on the system and plan out your
 2 work. But, you could conceivably double that
 3 number in one year.
 4 Q. Has there been consideration given by Hydro to
 5 making a request for proposals to the private
 6 sector to determine, you know, on the basis
 7 that the intention of Hydro is, as I
 8 understand the project justification, to
 9 eventually conduct this regeneration program
 10 on all its power transformers, all 161, on
 11 that basis had there been a request for
 12 proposal sent out to private sector for that
 13 piece of work to see whether that might
 14 attract, whether it's the businesses you
 15 identified in Ontario or Quebec or perhaps
 16 other contractors who might enter this area if
 17 they knew that that piece of work of that
 18 magnitude would be available?
 19 MR. HOLDEN:
 20 A. No, we didn't entertain that idea.
 21 Q. May I ask why not?
 22 MR. HOLDEN:
 23 A. Because we saw this here as the best idea of
 24 owning your own equipment. You have control
 25 over that equipment and you have complete

Page 41

1 MR. HOLDEN:
 2 control with respect to how and when you use
 3 it and how you coordinate it with your
 4 outages. If you thought about a contractor in
 5 Newfoundland having a piece of equipment here,
 6 you would not have that flexibility. That
 7 contractor if they were solely relying on
 8 Newfoundland Hydro's business, they would have
 9 to be at the beck and call to Newfoundland
 10 Hydro all the time. But they wouldn't do
 11 that. They'd only be able to quote on our
 12 business and then they'd also be looking for
 13 other business as well. And of course, then
 14 you'd get into the problem of availability and
 15 flexibility.

16 MR. MARTIN:
 17 A. I think also it would be rather difficult to
 18 put together an RFP for a proposal on that
 19 that would cover 20 years, and again, not
 20 knowing or having the uncertainty of the
 21 outages windows that we could see for the
 22 various units, 161 units throughout that time
 23 line. I don't really think, Mr. Coxworthy,
 24 that it would be practical to go out with an
 25 RFP to cover a service for all 161

Page 43

1 be appearing, we will do more frequent
 2 inspections. That information is available in
 3 our maintenance databases, but I can't answer
 4 to any specifics here this morning.

5 Q. At a rate of regeneration that was being
 6 proposed, at least by the project
 7 justification of four or five units per year,
 8 obviously it's anticipated that many of these
 9 67 units, the ones that have already been
 10 identified as being outside the parameters,
 11 will continue to be in that condition for some
 12 period of time, is that correct?

13 MR. HOLDEN:
 14 A. For some period of time, yes, that is correct.
 15 And it depends on the criticality. They're
 16 not all outside the acceptable ranges by the
 17 same amount. It's a matter of the same thing
 18 as we look after the wood poles, we're looking
 19 at the age of the piece of equipment and the
 20 criticality of it on the system and we'll
 21 focus on the most serious cases first and work
 22 our way towards the less serious cases.

23 MR. MARTIN:
 24 A. It might help just to point out that in our
 25 operating experience we identified 17

Page 42

1 transformers. I think that would be very
 2 difficult for us to put together and even more
 3 difficult for a contractor out there to be
 4 able to bid on.

5 Q. But I believe, Mr. Martin, as Mr. Holden said,
 6 it wasn't in fact even looked at whether it
 7 would be practical or not, is that correct?

8 MR. MARTIN:
 9 A. No more than what I've just described a few
 10 minutes ago.

11 Q. The transformers that have been described in
 12 the project experience is 67 of 161 that are
 13 showing parameters outside the guideline
 14 limits, does Hydro know for how long they've
 15 been outside of those guideline limits?

16 MR. HOLDEN:
 17 A. Hydro knows how long that is. We don't know
 18 here on the stand now. But that's contained
 19 in our maintenance records. We do maintenance
 20 inspections and gas and oil analysis on our
 21 transformers on a regular basis. And
 22 sometimes I think the basic is annual testing
 23 and inspection and monthly testing, monthly
 24 and annual testing, depending on what you're
 25 doing. And then if trouble situations seem to

Page 44

1 transformers of those 67 that were considered
 2 a high priority and that would have to undergo
 3 this regeneration process within the next
 4 five years. If we take a \$50,000 average for
 5 those, and again, that might be light,
 6 depending on when we can get the outage
 7 windows and so on, we're looking at something
 8 close to a million dollars to regenerate the
 9 oil in those 17 units over the next five
 10 years. And what we're looking at here is a
 11 capital expenditure of \$530,000 to do the same
 12 work. I mean, I guess what we're saying is
 13 from our perspective this project is
 14 economically feasible and in the best
 15 interests of the ratepayers and our customers
 16 even in the short term. We don't need to go
 17 out 15, 20 years. We can pay for this thing
 18 very, very quickly to the benefit of our
 19 customers. I hope that helps somewhat.

20 Q. Yes, thank you, Mr. Martin. If the intention
 21 is to eventually do all 161 power
 22 transformers, and even if you increase the
 23 rate of, the yearly rate of regeneration to
 24 four or five units per year, this will be a
 25 long-term project, I think 20 years has been

Page 45

1 MR. COXWORTHY:
 2 mentioned, and I presume that that's what you
 3 anticipate that it may take, 20 years, to get
 4 to all 161 of those power transformers, is
 5 that correct?
 6 MR. HOLDEN:
 7 A. It will take that time. But you have to
 8 realize that this is a piece of maintenance
 9 equipment, it's a regular piece of maintenance
 10 equipment that we have to buy to maintain the
 11 transformers and as the transformers--the
 12 older transformers are going to be processed
 13 first and you work your way down to the ones
 14 that are not so old and less critical and less
 15 serious. Well, yes, if you wanted to do a
 16 straight number calculation and divide 161
 17 transformers by another number, you'd get a
 18 rate. But, I don't think you can look at it
 19 that way. You have to look at it and from the
 20 point of view of the condition of the
 21 transformers and what ones have to be done
 22 first and then define your rate and define
 23 which ones you're doing based on the condition
 24 of each unit. That's how the program will
 25 work.

Page 47

1 Q. You anticipate you'll get to at least the 20
 2 years or whatever it takes to get to all 161
 3 transformers?
 4 MR. HOLDEN:
 5 A. We anticipate we should be able to get a
 6 service life of this piece of equipment much
 7 longer than ten years. And we will maintain
 8 this piece of equipment and use it to maintain
 9 the power transformers on the system and we'll
 10 try to extend the life of it as much as we can
 11 until it gets to a point where it's no longer
 12 feasible or economical to operate it, just
 13 like the Nodwell and we'll have to replace it
 14 and buy another one. And we see that time
 15 frame as being considerably longer than the
 16 ten years.
 17 Q. Has Hydro had any prior experience with
 18 operating this type of equipment, the oil
 19 reformation equipment?
 20 MR. HOLDEN:
 21 A. We have a similar piece of equipment now, it's
 22 called a degassifier equipment, and what that
 23 does is it takes gas out of the transformer
 24 oil. We've had that piece of equipment since
 25 the late 60s when we first started and we're

Page 46

1 Q. But quite apart them from the condition of the
 2 transformers there's also the other limitation
 3 that you can only take so many of these
 4 transformers down at any one time, is that
 5 correct? That's also a limitation on how many
 6 you can do per year?
 7 MR. HOLDEN:
 8 A. That's also a limitation of how many we can do
 9 a year, yes, it's how many we can take out of
 10 service at any one time.
 11 Q. Further to the response that was given to RFI
 12 IC-28, the depreciable service life for this
 13 particular piece of oil reformation equipment
 14 that's being proposed to purchase would be ten
 15 years. And I do acknowledge that the RFI
 16 response also says that the actual operational
 17 service life is expected to be considerably
 18 longer. Is it possible, though, that within
 19 the context of what may very well be a 20 year
 20 program that there will be a need to purchase
 21 by Hydro a second oil reformation piece of
 22 equipment, a new one before that program can
 23 be completed?
 24 MR. HOLDEN:
 25 A. No, we don't anticipate that.

Page 48

1 still operating that piece of equipment. So
 2 we do have experience with this type of
 3 equipment, we do know how to maintain and
 4 operate it and we do know how to make it last
 5 as long as we can.
 6 Q. Thank you, Mr. Holden. Mr. Chair, if we may
 7 move on then to project B-112, which is the
 8 replacement of the Doble F2000 Relay Test
 9 Equipment? Thanks. Mr. Martin, Mr. Holden,
 10 the original project justification for this
 11 project as given at B-112 was that the current
 12 equipment manufacturer wouldn't be extending
 13 support for the current equipment beyond 2004.
 14 And of course as was learned pursuant to the
 15 response to RFI IC-30, it's now been
 16 determined that the manufacturer support will
 17 continue until the end of 2006, so for another
 18 two years beyond what was originally
 19 contemplated when this project justification
 20 was put forward. Is there any reason, given
 21 that, why this project therefore can't be
 22 deferred at least to the 2006 capital budget?
 23 (10:30 a.m.)

Page 49

1 MR. MARTIN:
 2 A. Yes, we believe there is. In response to IC-
 3 29, if I can refer you to that, the response
 4 to IC-29, this lays out the reasoning for
 5 wanting to replace the existing test
 6 equipment, not only from its retirement
 7 perspective and manufacturer support, but it's
 8 a much better piece of equipment and will
 9 enable us to do much more extensive testing
 10 and better testing of all of this new
 11 equipment that we've come to own over the last
 12 number of years, digital type equipment, not
 13 only relaying equipment, but exciters,
 14 governors and so on. If I can refer you to
 15 the last sentence in that particular response,
 16 we say "Most of this generating equipment such
 17 as exciters is critical, making the
 18 requirement for this test equipment imperative
 19 and readily accessible." We do appreciate the
 20 fact that the Board could defer this
 21 replacement for another two years, but we
 22 think in the best interests of being able to
 23 do effective testing over generation plants in
 24 our protection and control equipment in our
 25 terminal stations and so on we would be much

Page 51

1 addition, the new technology test equipment is
 2 more compatible with the new computerized
 3 relays and metering units that are being used
 4 by Hydro and will allow more comprehensive and
 5 efficient testing of the new relay." And it's
 6 not only the relaying, it's the exciters, the
 7 governors and all of the other digital
 8 equipment we have at our generating plants and
 9 other facilities.
 10 Q. Is that equipment not being tested now with
 11 the current test equipment?
 12 MR. MARTIN:
 13 A. It is.
 14 Q. Okay.
 15 MR. MARTIN:
 16 A. But not, again, as comprehensively and as
 17 efficiently and as effectively as it would be,
 18 obviously, with the new test sets.
 19 Q. Have any problems been encountered using the
 20 current test equipment in testing the new
 21 digital equipment?
 22 MR. MARTIN:
 23 A. I can't talk to any specifics in that regard.
 24 Q. When you say more comprehensive, yes, it might
 25 be nice to have a more comprehensive testing,

Page 50

1 better prepared to do that and more effective
 2 if we were to replace that equipment next
 3 year.
 4 Q. Thank you, Mr. Martin. In the original
 5 project justification beyond the concern that
 6 at that time the belief being that the
 7 manufacturer support was going to end beyond
 8 2004, the only additional comment that was
 9 made in the project justification is that the
 10 new technology test equipment would be more
 11 compatible with the other new digital
 12 equipment that have been purchased by Hydro
 13 over the years. Yes, IC-29 proposes that a
 14 new state of the art, and that's the term
 15 that's used in IC-29, digital signal
 16 processing equipment, it goes further to say
 17 would be more compatible, and it actually
 18 suggests that it's needed to test and to
 19 maintain other new digital equipment. Is that
 20 the case or is it a question simply of the new
 21 digital test equipment being more compatible?
 22 MR. MARTIN:
 23 A. I think if I can take you back to B-112 again,
 24 you may have only read the first part of the
 25 sentence in the justification. It says, "In

Page 52

1 but has there been any problems that have
 2 arisen because of the current testing
 3 equipment being used?
 4 MR. MARTIN:
 5 A. Again, I can't provide you any details that
 6 our field technicians may run into with
 7 regards to problems with the current test
 8 equipment.
 9 MR. HOLDEN:
 10 A. If I could add to that, the problems are
 11 associated with the limitations in the old
 12 equipment to be able to test the new more
 13 modern digital equipment that we have. And so
 14 the old Doble test that could bring you up to
 15 a certain level of technology and test the
 16 relays and controls and the exciters and that
 17 to a certain level. But if we replace new
 18 equipment, there's more sophisticated
 19 technology, this old equipment here will not
 20 be able to fully test it. We can test it to a
 21 certain level, but we can't fully test it as
 22 comprehensively as is necessary. The newer
 23 Doble equipment will allow you to bring your--
 24 will bring your test equipment up to the same
 25 level as your operating equipment.

Page 53

1 MR. COXWORTHY:
 2 Q. Is all of your operating equipment, Mr.
 3 Holden, up to this new higher digital level
 4 that needs the new Doble relay system, the new
 5 state-of-the-art system to comprehensively
 6 test it?
 7 MR. HOLDEN:
 8 A. No, not all of our equipment is up to that
 9 level, but newer equipment is. The Doble
 10 equipment that we have can be used to test
 11 some of the older equipment, but as we move
 12 forward, a lot of new systems are being
 13 installed. The technology is more
 14 sophisticated and the older test equipment
 15 becomes more and more unsuitable as time goes
 16 on. This is why the equipment--and
 17 particularly in Bay D'Espoir where the--in
 18 this project here, the unit for Bay D'Espoir
 19 is a new piece of equipment that they don't
 20 have at that site now, and so that's required
 21 down there because of the new exciters and new
 22 equipment that was installed over the last few
 23 years and then the other sites in the
 24 transmission system, the other three units are
 25 required to upgrade the tool set for the

Page 55

1 the poles with Boron, I think you indicated?
 2 MR. MARTIN:
 3 A. That's correct.
 4 Q. And I'm wondering is that a common practice in
 5 the industry used elsewhere?
 6 MR. MARTIN:
 7 A. The other utilities that I'm aware of that are
 8 involved in a program similar to this include
 9 B.C. Hydro, Manitoba Hydro, Hydro Quebec. I
 10 believe Hydro One, the transmission arm of the
 11 old Ontario Hydro are involved in this type of
 12 program as well as, I do believe New Brunswick
 13 Power as well. Whether they--and I think most
 14 of them do retreat. They all certainly do
 15 inspections. They do testing; they do coring;
 16 they do retention levels and so on, retention
 17 level testing. And some of them do treat, and
 18 I believe some of them do use Boron. They may
 19 not exclusively use Boron or some other
 20 chemical, but some of those utilities are
 21 involved in retreating their poles, yes.
 22 Q. Curious, you've indicated in your report and
 23 as I think you spoke to during cross-
 24 examination by counsel for the Industrial
 25 Customers that you're postulating a extension

Page 54

1 equipment to the degree of sophistication that
 2 the operating equipment is at today.
 3 Q. Mr. Holden, just to be clear, is there any
 4 current operating equipment being used by
 5 Hydro that is not being tested or is not able
 6 to be tested because you don't have this new
 7 state-of-the-art Doble relay test system?
 8 MR. HOLDEN:
 9 A. As I said, the degree of comprehensiveness of
 10 the testing that we can perform with the old
 11 equipment is not as much as it should be. We
 12 can only test the new digital equipment to a
 13 certain level with the old test equipment.
 14 Q. Thank you, Mr. Holden and Mr. Martin. I
 15 believe those are all the questions I have for
 16 the TRO panel. Thank you. Thank you, Mr.
 17 Chair.
 18 CHAIRMAN:
 19 Q. Thank you, Mr. Coxworthy. Mr. Kennedy.
 20 MR. KENNEDY:
 21 Q. Chair, thank you. I just have a couple of
 22 questions, Chair and members of the panel.
 23 Mr. Holden and Mr. Martin, one quick question
 24 on the Wood Pole Management Program. You were
 25 referring to the treatment process, treating

Page 56

1 in the serviceable life of these wood poles as
 2 a result of your inspection program and in
 3 part your treatment of some of those poles
 4 with this Boron treatment process, correct?
 5 MR. MARTIN:
 6 A. Yes, that's correct.
 7 Q. And I'm wondering, and in turn your net
 8 present value calculation, if you will,
 9 supporting the project is based on that
 10 assumption that postulation of the extension
 11 in the service life of the wood poles?
 12 MR. MARTIN:
 13 A. Yes, only as regards to the benefits from
 14 treatment. The four and a half million
 15 dollars we quote do not include, does not
 16 include the extra benefit we will get through
 17 the analysis and extending the life of these
 18 poles by not replacing prematurely. That's
 19 where the red line goes up that we really
 20 can't quantify at this point in time.
 21 Q. Right, that's what I was wondering is the
 22 track record, if there is one, of other
 23 utilities using this type of treatment
 24 process, does that track record support the
 25 postulated extension in the service life?

Page 57

1 MR. MARTIN:
 2 A. I can't say for sure that it has. I think
 3 some of the utilities are not much more ahead
 4 of the game than we are, with regards to
 5 looking at treatment programs and so on.
 6 Obviously some of the information that's
 7 available in the literature that we've used
 8 before, the IOWA curves and so on, would
 9 certainly indicate, to our satisfaction at
 10 least, that the treatment of the poles is
 11 certainly going to have significant benefit,
 12 and we quite frankly believe that what we're
 13 proposing in here is the minimum we're going
 14 to get out of this program. We actually think
 15 it will be better than that. I think the
 16 other thing, Mr. Kennedy and Board, that's
 17 worth repeating is that the \$36 million we're
 18 proposing here is not all new money. Most of
 19 the money that we're proposing to spend in
 20 this program, we're already spending through
 21 inspection, testing and so on. The materials
 22 that we actually use to treat each pole costs
 23 approximately \$30. So we're looking at
 24 treating with materials that cost \$30 a pole
 25 that to replace would cost us \$7,000.

Page 59

1 statistics once the upgrade had been
 2 completed?
 3 MR. MARTIN:
 4 A. Yes. What we did is called a what-if
 5 analysis, and basically we went back over the
 6 last five years of outage records for that
 7 particular system, tried to identify the
 8 outages that were related to things that we
 9 were going to correct under this program, such
 10 as the replacement of these pin type
 11 insulators and so on. Extracted those
 12 incidents from the database and then
 13 recalculated the SAIDI and SAIFI numbers with
 14 those items extracted, and that's where we
 15 came up with the numbers. I think it's
 16 important in this one to point out that you
 17 may not see a significant increase over the
 18 current indices as a result. We don't only
 19 replace and upgrade when we get a significant
 20 problem with regards to the statistics. If we
 21 see something that's going to even make those
 22 statistics worse, if the system condition is
 23 worsening and we know that the numbers are
 24 going to degrade even further, then we are
 25 proactive and we go in and do this type of

Page 58

1 Q. So the incremental cost of treating the poles,
 2 as part of your Wood Management Program, is
 3 minimal? Is that -
 4 MR. MARTIN:
 5 A. It is. The treatment part is a very small
 6 part of it, extremely small part.
 7 Q. I wonder if we could just turn to B-57,
 8 please? And gentlemen, this is just a
 9 project--if we could go back to page one,
 10 please? Yes. Upgrading a distribution system
 11 in your L'Anse au Loup setup, if you will, and
 12 the question I had related to--just give
 13 people just a moment just to skim that, and
 14 the witnesses in turn. And it's clearly
 15 indicated there what the project consists up,
 16 general upgrading of your distribution system
 17 in that area. If you could just turn to page
 18 two. Part of your project justification is
 19 "these pole and insulator replacements provide
 20 the potential to reduce the SAIFI to 24.61 and
 21 the SAIDI to 19.99" and the question I had
 22 was, I wonder if you could explain how you
 23 came up with that analysis or the result?
 24 What analysis did you conduct in order to come
 25 up with these projected SAIFI and SAIDI

Page 60

1 upgrade before the statistics get even worse
 2 than what they are at the current time.
 3 Q. So generally, does the company have a target
 4 then that it attempts to achieve when
 5 determining, you know, how much to replace in
 6 a particular distribution upgrade project?
 7 MR. MARTIN:
 8 A. We have an overall target for our rural
 9 systems, and I can quote you those numbers if
 10 you're interested?
 11 Q. Yes, please.
 12 MR. MARTIN:
 13 A. The SAIDI on distribution for 2004 is targeted
 14 at 11.2; that's the overall Hydro average.
 15 And the SAIFI is 7.2.
 16 Q. Okay. You said rural systems, and so they're
 17 the SAIFI and SAIDI statistics specific to the
 18 rural systems?
 19 MR. MARTIN:
 20 A. For all the distribution systems -
 21 Q. All your distribution systems?
 22 MR. MARTIN:
 23 A. - that Hydro owns and operates, that's right,
 24 whether they be isolated or interconnected.
 25 Q. Okay. So it's the Hydro, okay. The next

Page 61

1 MR. KENNEDY:
 2 question I had was related to your Powerpoint
 3 presentation actually at the beginning, the
 4 Information No. 1, and I think it was page
 5 ten, yes, page ten. Here we go. And you
 6 were--this was a page that, I believe,
 7 gentlemen, you brought up during your direct
 8 examination and I think you may have been
 9 brought back to it during your cross. And the
 10 question I had is just a click off the back of
 11 the envelope calculation of taking your
 12 numbers for 1998 and your numbers for 2000 and
 13 working out how much it cost to replace the
 14 poles on a per pole basis. So for instance,
 15 in 1998, it worked out to \$7,595 a pole, so 79
 16 poles at 600,000.

17 MR. MARTIN:
 18 A. Um-hm.
 19 Q. And then the same number for 2000, you fixed
 20 82 poles--or sorry, replaced 82 poles for
 21 420,000 and then that worked out to \$5,122 a
 22 pole.

23 MR. MARTIN:
 24 A. Right.
 25 Q. And I'm wondering if you can comment on the

Page 63

1 A. - apples to oranges. Not all poles are
 2 created equal, no.
 3 Q. And so I wonder if we could just flip then to
 4 B-48 as an example of another area where this
 5 type of analysis could be conducted, and am I
 6 correct in understanding this would be Hydro's
 7 total budget for new service extensions or
 8 replacement of obsolete service extensions to
 9 its customer base? Is that right?

10 MR. MARTIN:
 11 A. This is basically for new customers.
 12 Q. New customers?

13 MR. MARTIN:
 14 A. That's right.
 15 Q. And I assume I could, if I asked, or you could
 16 if asked, provide a unit cost of how much it
 17 was costing per new customer for Hydro to hook
 18 up its new customers?

19 MR. MARTIN:
 20 A. Only by taking the actual numbers and dividing
 21 them by the number of customers that we
 22 actually hooked up.
 23 Q. Sure. It wouldn't be a particularly
 24 complicated calculation then?

25 MR. MARTIN:

Page 62

1 utility, excuse the pun, but the usefulness of
 2 that type of analysis, doing a unit cost
 3 analysis on the replacement of poles?
 4 (10:45 a.m.)

5 MR. MARTIN:
 6 A. You really can't compare the two numbers, if
 7 that's your point in this example, and there's
 8 a couple of reasons why I think the average
 9 cost on the Avalon were higher than in
 10 Central. One thing that obviously affects the
 11 cost of replacing transmission line poles is
 12 where they are and access. So access to the
 13 location for the particular structure is a
 14 significant impact on the cost. Another one
 15 that I think perhaps had more impact on these
 16 particular numbers is that on the Avalon they
 17 would have all been 230 kV structures, larger
 18 poles, larger structures and higher costs for
 19 the poles themselves, whereas in Central, we
 20 no doubt perhaps had some 230 kV, no doubt 138
 21 kV and 69 kV structures included in that. So
 22 you're really not comparing apples to apples.
 23 It's -
 24 Q. Okay. So not all poles are created equal.

25 MR. MARTIN:

Page 64

1 A. No, it wouldn't. It wouldn't do you a whole
 2 lot of benefit either, I think, because it
 3 obviously different costs to hook up different
 4 customers.
 5 Q. That's what I was going to ask you. As a
 6 simple average then, on that basis, if you
 7 could comment on the usefulness of that type
 8 of analysis?

9 MR. MARTIN:
 10 A. These particular budgets here, I'm sure you'll
 11 appreciate, as we have put in the project
 12 description here, are based on the average of
 13 the last five years of Hydro's costs for new
 14 customers. Again, if there's anything
 15 extraordinary that we know of, that a new
 16 subdivision is coming along or something, the
 17 numbers could potentially be adjusted for
 18 that. But generally speaking, these are
 19 numbers based on the average of the last five
 20 years. You could hook up a customer with a
 21 simple drop from an existing distribution line
 22 and transformer that's going to cost you very
 23 few dollars. Another customer, you might have
 24 to install a couple of poles with conductor or
 25 drops and transformers that cost you a lot

Page 65

1 MR. MARTIN:
 2 more dollars. So again, you're really not
 3 comparing apples to apples, if I understand
 4 your point, Mr. Kennedy.
 5 Q. I think so. I think we might be missing one
 6 small -
 7 MR. MARTIN:
 8 A. Okay. That wouldn't be unusual, I'm sure.
 9 Q. - micro-adjustment there. You seem to be
 10 indicating that if we had a unit cost that was
 11 comparing how much did it cost Hydro to hook
 12 up a specific customer A versus how much it
 13 cost to hook up a specific customer B, that
 14 that may vary and that would be driven by what
 15 the physical circumstances were in each case?
 16 MR. MARTIN:
 17 A. Absolutely.
 18 Q. Okay. But if we take an overall average of
 19 your unit costs for all your customer groups,
 20 unless there was a change in the growth
 21 dynamic, one customer group grew faster than
 22 another customer group -
 23 MR. MARTIN:
 24 A. Right.
 25 Q. - that was in the Hydro group of customers -

Page 67

1 overspend and we may significantly overspend
 2 in a particular area. That doesn't
 3 necessarily mean we change the rationale for
 4 the next year's budget. We would again go
 5 back to the five-year average, knowing that
 6 long term, this is the way that things are
 7 going to work out from a budget and an actual
 8 cost perspective.
 9 Q. Okay. And what's been Hydro's experience to
 10 date with your unit cost for new customers?
 11 Has it been increasing, decreasing, staying
 12 relatively stable?
 13 MR. MARTIN:
 14 A. You mean the cost per customer?
 15 Q. On a year-by-year basis.
 16 MR. MARTIN:
 17 A. I think the costs have been gradually
 18 escalating over the years, yes.
 19 Q. Okay.
 20 MR. MARTIN:
 21 A. And there have been some years, like I said
 22 before, when you might get into a new
 23 subdivision in Happy Valley-Goose Bay that you
 24 see a spike that you probably wouldn't see in
 25 subsequent years. But again, over time, these

Page 66

1 MR. MARTIN:
 2 A. Yes.
 3 Q. - your average should make sense year over
 4 year, shouldn't it?
 5 MR. MARTIN:
 6 A. It should make sense year over year, and
 7 that's the rationale for doing the budget in
 8 this particular way.
 9 Q. Right. And so that's what I'm asking you, if
 10 you could--I respect your comments concerning
 11 individual customers. I wonder if you could
 12 comment on the usefulness of conducting
 13 analysis that uses that overall company
 14 average on a unit-cost basis for hooking up
 15 new customers?
 16 MR. MARTIN:
 17 A. You mean do I think it makes sense to do that?
 18 Q. Correct.
 19 MR. MARTIN:
 20 A. Yes, I certainly do. I mean, again, this is
 21 the way this particular budget was prepared.
 22 It's been prepared like this for the last
 23 number of years. You may see in any
 24 particular year, with regards to service
 25 extensions or distribution upgrades, that we

Page 68

1 per unit costs, we think are the best way to
 2 budget these particular items.
 3 Q. So really you're using a rolling average,
 4 right?
 5 MR. MARTIN:
 6 A. That's correct.
 7 Q. Yes. Okay. Speaking of averages and trends,
 8 I wonder if we could just speak then to a line
 9 of questioning that counsel for the Industrial
 10 Customers pursued concerning the growth in the
 11 TRO side of your capital budget, and if I
 12 copied it down right, I believe counsel for
 13 the Industrials indicated that your budget--
 14 and he looked at your last two capital budgets
 15 and pulled it out of, I think it was Schedule
 16 F, out of your filings.
 17 MR. MARTIN:
 18 A. Right.
 19 Q. That your budget had gone in 2003 from 10.3
 20 million increased to 12.2 million in 2004 and
 21 then it was 19.1 million in 2005. I've
 22 rounded them off. And in response to those
 23 questions concerning the growth in that TRO
 24 budget, you indicated, and I'm going to
 25 paraphrase it, as I scratched it down while

Page 69

1 MR. KENNEDY:
 2 you were talking, that you said the budget
 3 ebbs and flows depending on the work that
 4 needs to be done.
 5 MR. MARTIN:
 6 A. That's correct.
 7 Q. Right. And so, I'm not trying to be
 8 facetious, but there's no actual ebb there.
 9 It seems to be mostly flow. So I was
 10 wondering--I wonder if you could comment on
 11 what an appropriate period would be to achieve
 12 that kind of budget smoothing, if you will?
 13 What would be an appropriate review period to
 14 calculate annual average expenditures in your
 15 TRO budget specifically? And then, what would
 16 be, in your opinion, related to that, a
 17 reasonable plus or minus off of that average?
 18 GREENE, Q.C.:
 19 Q. Just for the record, Mr. Martin, in his reply,
 20 had indicated that in earlier years the TRO
 21 budget had in fact been higher because of the
 22 Avalon upgrades. So there was -
 23 MR. MARTIN:
 24 A. The budget does -
 25 Q. - there was a bit of ebbing as well.

Page 71

1 Q. Okay. That's all the questions I have, Chair,
 2 members of the Panel. Thank you, gentlemen.
 3 CHAIRMAN:
 4 Q. Thank you, Mr. Kennedy. I think we'll take a
 5 break at this particular point in time, before
 6 the Board comes back with any questions. So
 7 we'll take a 15-minute break. Thank you.
 8 (BREAK - 10:52 a.m.)
 9 (RESUME - 11:12 a.m.)
 10 GREENE, Q.C.:
 11 Q. Mr. Chair, the preliminary matter, we are in a
 12 position to respond to the other two
 13 undertakings, and I'll leave it to the panel
 14 as to whether you'd like to do this now or
 15 after. We probably should do it while Mr.
 16 Martin and Mr. Holden are available if there's
 17 any questions arising from the responses, but
 18 -
 19 CHAIRMAN:
 20 Q. Fine, carry on.
 21 GREENE, Q.C.:
 22 Q. Okay. As indicated this morning, we had two
 23 undertakings that we didn't answer at that
 24 time, and in addition, there was a third item
 25 relating to the value of the La Scie depot on

Page 70

1 MR. MARTIN:
 2 A. - believe it or not, the budget does ebb and
 3 flow. It -
 4 MR. KENNEDY:
 5 Q. Sure, yes, and I -
 6 MR. MARTIN:
 7 A. You will see ups and downs in the budget over
 8 the last ten years, I'm sure. And to be quite
 9 frank, I don't think I can answer your
 10 question.
 11 Q. Okay.
 12 MR. MARTIN:
 13 A. You know, you could have a given year when we
 14 require a new diesel plant somewhere, a
 15 transmission line upgrade where the budget is
 16 going to spike up. I really don't think you
 17 can establish a ceiling, if you will, and then
 18 work off an escalator to try and come to some
 19 reasonable number. I personally don't believe
 20 you can do that. Maybe the economists and the
 21 accountants and others, people in the
 22 financial circles, can offer a better
 23 explanation. As an engineer, I really don't
 24 think you're going to be able to do that with
 25 any certainty.

Page 72

1 page 136 of the transcript. It wasn't
 2 actually in the form of an undertaking, but
 3 the question was "what was the value remaining
 4 on the books of the La Scie depot which had
 5 been disposed of?" and we would like to
 6 provide that information for the panel, and
 7 the answer is there was no value left on the
 8 books of Hydro. It had been fully
 9 depreciated. So the La Scie depot which has
 10 been removed from service was fully
 11 depreciated with no remaining value.
 12 The other two actual undertakings, we had
 13 two which was undertaking number six, found on
 14 page 180, which related to the difference in
 15 the age and kilometre criteria used in B-83
 16 last year relating to vehicles and B-147 this
 17 year relating to vehicles. So perhaps if we
 18 could see, Mr. O'Rielly, first the one from
 19 this year, B-147.
 20 Now, Mr. Martin, have you had the
 21 opportunity to review the criteria at the
 22 bottom of the page there first?
 23 MR. MARTIN:
 24 A. Yes, I have.
 25 Q. Okay. And now if we can go to B-83 from last

Page 73

1 GREENE, Q.C.:

2 year, Mr. O’Rielly, and the question was why

3 is the criteria shown different--why is there

4 a difference between the two? There we go.

5 You can see the bottom of that page, please,

6 Mr. O’Rielly, okay. Mr. Martin, could you

7 please explain or provide an answer to that

8 question, please?

9 MR. MARTIN:

10 A. Yes. In point of fact, the text at the bottom

11 of 147, that’s this year’s proposal, is in

12 error. Obviously with the change in the

13 vehicles proposed last year versus what we are

14 actually looking at replacing after our fleet

15 review, the number of vehicles has changed and

16 the actual numbers that should appear at the

17 bottom of B-47 are as follows.

18 Q. That’s B-147.

19 MR. MARTIN:

20 A. B-147, I’m sorry. Are as follows: the

21 category 1000 and 2000 vehicles have an

22 average life or average age, I should say, of

23 six years and 167,000 kilometres.

24 Q. So what’s shown on B-147, at the bottom there,

25 the six years is correct, but it’s the

Page 75

1 Q. Okay. Which is part of the explanation

2 provided yesterday. You’re taking an average

3 of a different group of vehicles this year

4 versus last year. But in addition to that,

5 there was an error, as you’ve just corrected

6 there on the bottom of page B-147? Is that

7 correct?

8 MR. MARTIN:

9 A. Yes, and I’d like to apologize for the Board

10 for that. Perfection is something we only

11 strive for. Obviously we rarely attain it.

12 Q. The last undertaking is undertaking number

13 seven found on page 190 of the transcript, and

14 it related, on the bottom part of page 190,

15 and it related to the transmission lines that

16 Hydro plans to undertake in the 2005 Wood Pole

17 Management Program. Are you in a position to

18 respond to that now, Mr. Martin?

19 MR. MARTIN:

20 A. Yes, I am. The poles that are in the plan for

21 next year, under the Wood Pole Management

22 Program, are TL210. That’s a 138 kV line from

23 our Stoney Brook terminal station east to

24 Cobb’s Pond near Gander. That line was built

25 in 1969. TL226 is a 66 kV line on the

Page 74

1 kilometres is incorrect? Is that -

2 MR. MARTIN:

3 A. That is correct. It should be 167 versus 150.

4 The category 3000 have an average age of seven

5 years and 218,000 kilometres, and the category

6 4000 vehicles have an average age of eight

7 years and 208,000 kilometres.

8 Q. So those represent the average age and the

9 kilometres for the vehicles that are proposed

10 to be replaced now, under B-147, for this

11 year? Is that correct?

12 MR. MARTIN:

13 A. That is correct.

14 Q. Now they’re still not the same as what was

15 shown in B-83 last year. Why is that?

16 MR. MARTIN:

17 A. Because again, the number and types of

18 vehicles have changed as a result of the fleet

19 review and the reduction of \$500,000 in the

20 overall budget.

21 Q. So that the actual vehicles used for the

22 averaging is different in 2005 budget than the

23 2004 budget? Is that correct?

24 MR. MARTIN:

25 A. Yes, that is correct.

Page 76

1 Northern Peninsula which was built in 1970.

2 TL227, another 66 kV line on the Northern

3 Peninsula built in 1970. TL243, which is the

4 line connecting the Hind’s Lake generating

5 station to the Howley terminal station, that’s

6 the one we’re proposing to replace all the COB

7 insulators on as well. We would be inspecting

8 100 percent of the poles on that line next

9 year, again as part of the economics or

10 efficiencies, if you will, of doing all this

11 work at one time. That line was built in

12 1978. And TL218, which is a 230 kV line from

13 Holyrood to our Oxen Pond terminal station

14 here on the Avalon. That was built in 1983,

15 and again, that has been identified as a

16 critical line. It was looked at or reviewed,

17 if you will, as part of our upgrade program

18 back when we did the steel transmission line

19 upgrade. Were we going to upgrade that to the

20 new ice loading and so on? The answer was no,

21 but we do want to get out, inspect and test

22 and treat the poles on that particular line,

23 and that line was built in 1983.

24 Q. Thank you, Mr. Martin.

Page 77

1 MR. MARTIN:
 2 A. Again, I think it's worthwhile to identify
 3 that's the plan of today. As the information
 4 is collected from this year's program and
 5 other information becomes available, the
 6 program will, in my mind, no doubt change.
 7 But right now, that's the plan that we have on
 8 the books right now for next year.
 9 Q. Thank you, Mr. Martin. Mr. Chair, that
 10 completes all of the undertakings that have
 11 been provided by this panel.
 12 CHAIRMAN:
 13 Q. Thank you, Ms. Greene. We just have a few
 14 questions. Commissioner Powell will go first.
 15 COMMISSIONER POWELL:
 16 Q. Thank you, Chair. First, I'd like to
 17 compliment the panel on a very good
 18 presentation. I think the information is
 19 quite clear. I enjoyed going through it. I
 20 don't have any real detail questions, it's
 21 just a little bit of what I would call
 22 housecleaning. You described a bit of the
 23 process of how the budget is put together from
 24 the ground up. I'd just like to, for lack of
 25 a better word, see how it gets finished, and

Page 79

1 consideration, but it's certainly not the
 2 prime consideration in determining what
 3 capital budget we bring forward to the Board
 4 in any particular year.
 5 Q. No. No, I appreciate that. So it does get
 6 finished off, in the sense you started at the
 7 bottom, in terms of people submitting it,
 8 processed right up to the top and you're--you
 9 finish the loop in terms of saying okay, go
 10 ahead, we know--we appreciate this. So my
 11 next question is: given that, and at the
 12 discussion level that, again the capital
 13 budget require \$1.7 million and is there then
 14 the message sort of taken saying that if this
 15 in capital requires us to produce \$1.7
 16 million, on operations, we should be looking
 17 to save our portion of that. So in the scheme
 18 of things, when we present a operational
 19 budget, one would balance out the other?
 20 MR. MARTIN:
 21 A. No, I can't say it's done in that context, at
 22 least from my perspective.
 23 Q. You don't feel any pressure then that you
 24 should--okay--any more than usual.
 25 MR. MARTIN:

Page 78

1 to indicate where I'm coming from, maybe Mr.
 2 O'Rielly can bring up page six of Mr. Roberts'
 3 testimony. Yes. Mr. Roberts, through his
 4 planning, which we'll deal with probably when
 5 he gets on the stand, he goes through the
 6 process and makes the assumptions that if
 7 nothing else changed that if this budget was
 8 accepted in total that it would mean
 9 approximately \$1.7 million in new revenue,
 10 which is, if you did some simple calculations,
 11 it means that there's total revenue of roughly
 12 half of one percent. I'm just wondering, the
 13 process, when you put the budget together,
 14 you're part of the process, are you aware that
 15 this budget that you presented as part of the
 16 total that would require Hydro to seek more
 17 revenue from its customers, all else being
 18 equal?
 19 MR. MARTIN:
 20 A. Yes. Part of the discussions that we have at
 21 the executive level obviously centre around
 22 the total of the capital budget we're
 23 proposing, how it lines up against other
 24 years, the new revenue requirements that the
 25 budget would require, and that is a

Page 80

1 A. Mr. Powell, every single day I go to work,
 2 there's pressure on the operational budget, I
 3 can assure you of that, and I think that's in
 4 the context I would respond to your question,
 5 that it doesn't necessarily flow from the
 6 capital budget. If we identify an opportunity
 7 for savings in any of these capital items or
 8 anything else that we can come up with regards
 9 to a new process that would be acceptable and
 10 also result in reducing our operating
 11 expenditures, then we certainly move forward
 12 on that and implement it. I can't say from a
 13 personal perspective that it's tied directly
 14 to the requirement for an additional \$1. 7
 15 million in revenue as a result of the 2005
 16 Capital Budget.
 17 Q. So when you sit around at the corporate level,
 18 top level, and deciding these things, there's
 19 no employed pressure saying that we'll accept
 20 this as the minimum capital budget this year,
 21 but there should be some sort of savings worth
 22 the system, whether it's a productivity type
 23 showing that sure, we'll spend this \$40 odd
 24 million, your portion of it, that there should
 25 be a corresponding productivity results. So

Page 81

1 COMMISSIONER POWELL:
 2 therefore, when we go to another rate hearing,
 3 it would wash out?
 4 MR. MARTIN:
 5 A. No, I can't say there is in that context.
 6 Like I say, there are pressures on our
 7 operating budget every single day.
 8 Q. I appreciate that.
 9 MR. MARTIN:
 10 A. I'm sure you'll appreciate that, yes.
 11 Q. Can I ask then, Mr. O'Rielly, if he would
 12 bring up the schedule on the application,
 13 Schedule D, page E-1. No, Schedule E, excuse
 14 me. There's only one. This is the capital
 15 expenditure budget 99 to 2008, and looking
 16 here at the 2005 and it shows that the \$42
 17 million and it shows at 2006 it's roughly the
 18 same. 2007 it's going to be backed off a bit,
 19 and in 2008, it looks like it's going to be a
 20 fairly soft year from a capital expenditure,
 21 and I realize these are projections and I
 22 realize that everything from Mother Nature on
 23 can change that. And when I go back and look
 24 at Mr. Roberts' testimony saying that the 2005
 25 would mean an increase of 1.7, you can almost

Page 83

1 softer. 2008, if I can be quite frank with
 2 you, we start to fall off the end of the earth
 3 with regards to the accuracy of these
 4 estimates in all the items that we've been
 5 able to identify out that far. So personally
 6 I wouldn't put a whole lot of stock in the
 7 \$7.8 million for TRO.
 8 I think your other point with regards to
 9 are we concerned about this and do we look at
 10 deferring things, the answer to that is yes.
 11 As these budget proposals come from the
 12 regions and are reviewed at the various
 13 levels, there are numerous proposals that,
 14 first of all, are decided well, they're not
 15 really capital items. They should be put in
 16 our operating account and then they show up in
 17 future years as operating projects. There are
 18 lots of other projects that are deferred, that
 19 we either don't think they're justified at
 20 this particular point in time or that they can
 21 be deferred. There's not a significant risk
 22 to the customer or so on, and they are pushed
 23 off to 2006, 2007 and perhaps even some to
 24 2008. So that process happens, but it doesn't
 25 happen under--or I think in the way that

Page 82

1 assume that 2006 would be roughly the same and
 2 2007 would be something less. But 2008 would
 3 seem to be, you're going to have a lot of room
 4 for manoeuvring. So I'm just wondering when
 5 you did this planning out and the budget
 6 indicated that maybe over the next two years,
 7 with this 1.7, 1.3., .4, you're looking at
 8 roughly \$5 million that any thought given to
 9 massaging this so it--and loading more of it
 10 in 2008, so it wouldn't be there?
 11 MR. MARTIN:
 12 A. I think there's--I'd like to respond with two
 13 points on that. First of all, I think you
 14 have to be very, very careful about the 2008
 15 number, at least personally. The TRO budget
 16 of that component of that particular estimate
 17 is \$7.8 million, and I have to be quite frank
 18 with you that I wouldn't put a whole lot of
 19 stock in the accuracy of that number. The
 20 further we get out in time, the less we know
 21 about what we're going to have to budget for.
 22 You know, the numbers in 2005 obviously are
 23 accurate based upon detailed cost estimates
 24 and so on. 2006, probably close to the same
 25 thing. 2007, as you suggested, a little

Page 84

1 you've described it, that we just looked at
 2 the 2005 budget, saw that it was \$42 million,
 3 that we perhaps got some softer areas out in
 4 '07 and '08 and based on that alone, moved
 5 them out. The proposal that we brought before
 6 you this particular week are ones that we are
 7 convinced need to be done in the best
 8 interests of the customers in 2005.
 9 Q. Is it fair to say a lot of the items in this
 10 budget, my first--when I read it without
 11 reading any of the testimony, I looked at the
 12 budget, except for a couple of projects,
 13 Rencontre East is one that comes to mind, but
 14 a lot of them are maintenance driven, trying
 15 to rehabilitate the system or just maintaining
 16 the system, and if you don't spend them now as
 17 a capital item, they may have to be spent
 18 tomorrow morning because things may happen.
 19 So it's just a question of timing and best--I
 20 wouldn't want to use the word estimate--best
 21 experience saying it should be done this year?
 22 (11:30 a.m.)
 23 MR. MARTIN:
 24 A. I like to use the expression engineering
 25 judgment.

Page 85

1 COMMISSIONER POWELL:
 2 Q. Yes, okay.
 3 MR. MARTIN:
 4 A. People in other disciplines sometimes don't
 5 like that particular phrase, but it's one we
 6 use all the time.
 7 Q. Yes. So really it's not a question whether
 8 this money is going to spent. It will be
 9 spent whether it's 2005 or 2008 or '09, let's
 10 say.
 11 MR. MARTIN:
 12 A. Or tomorrow morning.
 13 Q. Or tomorrow morning.
 14 MR. MARTIN:
 15 A. That's correct.
 16 Q. And it may be spent plus additional money, if
 17 it's not spent in 2005, in 2008 because of -
 18 MR. MARTIN:
 19 A. Yes, we could be doing ongoing replacement of
 20 insulators, for argument sake, and spending
 21 dollars going back and going back and going
 22 back replacing onesies and twosies and
 23 threesies and all of a sudden next year now we
 24 get into a catastrophe and we got to go and
 25 replace them all. So what we're doing here is

Page 87

1 with Newfoundland Power on. Most
 2 particularly, I guess, we not only talked to
 3 them, but we gave them a presentation on our
 4 proposed Wood Pole Management Program. My
 5 recollection of their response is that they
 6 were supportive of what we were proposing to
 7 do. They were going to help us in any way
 8 they could with regards to providing test
 9 results and information related to their own
 10 wood pole experiences out in the field, and
 11 depending upon the success of our program, as
 12 we move forward and report back to the Board
 13 and they see the results of the program, they
 14 may or may not be interested in either joining
 15 it or coming up with their own program or
 16 something similar to that. So that's one
 17 instance, I think, where we've shown some
 18 coordination.
 19 I've also talked to one of the executives
 20 at Newfoundland Power with regards to our
 21 intention to buy this oil reclamation unit and
 22 Newfoundland Power had numerous power
 23 transformers on their system and many of them
 24 as old or older than ours, and we think it
 25 would be beneficial for them as well, once we

Page 86

1 we're looking at the risk involved. We're
 2 looking at the results of inspections. We're
 3 looking at the results of tests that we
 4 conducted, and again, based upon our
 5 experience and knowledge and engineering
 6 judgment, we are recommending to the Board
 7 that these projects be done based on the
 8 schedule that we've brought forward.
 9 Q. One other item that was referenced by your
 10 legal counsel, the method of--the Board
 11 outlined some guidelines for putting together
 12 budgets in P.U. 7, Schedule 3, and one of the
 13 conditions, condition nine, and we asked the
 14 Corporation to provide a description and
 15 related documentation outlining the results of
 16 any discussion of the project that have taken
 17 place between utilities in an effort to reduce
 18 expenditure, providing duplication of service
 19 or increased sharing of resources and
 20 expenses. Are anything in the transmission
 21 and rural operations that would have come
 22 under that category? And if so, are there -
 23 MR. MARTIN:
 24 A. There are a couple of items in the budget that
 25 we've had at least preliminary discussions

Page 88

1 get this piece of equipment in our own hands,
 2 that they could potentially use it to reclaim
 3 the oil in their power transformers, extend
 4 the life of their units as well. So that's
 5 just two examples that come to my mind where
 6 in this particular application there are
 7 proposals that we talked to Newfoundland Power
 8 with and hope to deal with them again in the
 9 future. Again, the idea being to try and keep
 10 the costs to the rate payer as little as
 11 possible.
 12 Q. Good, thank you. That was one of the points
 13 of having the--in part of the order, so I'm
 14 glad to see that that's active, alive and
 15 well. One other little thing, when we were--I
 16 sat in on Newfoundland Power Capital Budget,
 17 you referred to as your sister utility, and
 18 one of the requests they wanted, I'm probably
 19 winging the words here, but essentially, the
 20 concept that when they sent somebody up a pole
 21 to do a job, something would have broke, had
 22 broken, and while they're up the pole, they
 23 may have done three or four other things that
 24 may not necessarily fit in their plan, but the
 25 cost of getting the equipment to the pole and

Page 89

1 COMMISSIONER POWELL:
 2 getting somebody to get up the pole, whether
 3 it's a lightning arrestor or insulator or
 4 whatever, they did the other three or four
 5 things at that particular point in time. And
 6 they had a budget request for--I can't
 7 remember exactly what it was, but again, I use
 8 my words, and that's not the way to describe
 9 it, as a contingency to cover off putting
 10 those extra lightning arrestors or whatever it
 11 was, because they knew the probability things
 12 would happen. They had that actually in their
 13 capital budget, and they had the documentation
 14 proving that it was the least cost, efficient
 15 way of doing it. Is that a policy of Hydro,
 16 that once you go up a pole to fix something,
 17 if there's other things up there that in the
 18 scheme of things you may be planning to fix it
 19 in 2007, but since I got somebody up that
 20 pole, do it now?
 21 MR. MARTIN:
 22 A. Yes. I mean, generally speaking that is the
 23 policy of Hydro. If we go to fix a particular
 24 item and we find something else that's amiss
 25 or needs to be adjusted or even replaced,

Page 91

1 A. No, if I read you correctly, I don't think we
 2 would do that. I'm not saying one is right or
 3 wrong, but if we go up a pole to fix a problem
 4 and there's a COB insulator there, for
 5 argument sake, and during the inspection of
 6 that pole, the insulator hasn't failed, it's
 7 still in tact, it doesn't show any of the
 8 signs of the radial cracks we see, you know,
 9 leading to a defective situation on that
 10 particular insulator, then normally we would
 11 not fix it. The insulator is still there.
 12 It's performing its function, and I don't
 13 think we would replace it. Now I stand to be
 14 corrected on that, but that's my impression of
 15 what we would do. Obviously if we saw the
 16 cracks and whatever in the insulator, if it
 17 was sufficiently developed, that it caused our
 18 line workers or whatever, our supervisor, a
 19 concern, then we would obviously replace it at
 20 that time. But if the insulator was good, the
 21 inspection looked good, if it tested well,
 22 then just because it's a COB insulator that we
 23 may be looking at replacing in 2008 or 2007 in
 24 the program, would we replace it at that time?
 25 No, my feeling is that we would not. I hope

Page 90

1 obviously it depends upon whether or not
 2 you've got the equipment and the materials
 3 available to carry out that particular repair,
 4 but assuming that we do, then we would
 5 obviously, in the interest of efficiency, do
 6 that particular piece of work at that time,
 7 certainly.
 8 Q. I was thinking more so not that if something
 9 broke. I gather, reading what Newfoundland
 10 Power is doing, that you have all these
 11 insulators out there, you know that you're
 12 going to replace them all eventually.
 13 MR. MARTIN:
 14 A. Right.
 15 Q. But there's a line down in southwest
 16 Newfoundland, to use the expression, something
 17 happens that you have to go in and fix it, and
 18 it may be something not related to the
 19 insulator. You can go up and fix that one
 20 thing, but since you're up on the pole, the
 21 insulator is going to go in a couple of years
 22 time, you might as well take that off and put
 23 one there now? I mean, is that--when you go
 24 to that pole -
 25 MR. MARTIN:

Page 92

1 that answers your -
 2 Q. Yes. That was what I asked and you answered
 3 it. That's all the questions I have. Thank
 4 you very much.
 5 MR. MARTIN:
 6 A. You're welcome.
 7 CHAIRMAN:
 8 Q. Thank you. Commissioner Martin.
 9 COMMISSIONER MARTIN, Q.C.:
 10 Q. I think the questions I had coming in have
 11 pretty well been canvassed, but there is one
 12 fact that occurred to me, with respect to the
 13 price of oil these days and the way it seems
 14 to be trending up, has any thought been given
 15 to your Isolated Diesel Systems in terms of
 16 whether or not because of the change in
 17 economic conditions now, it would be viable to
 18 look at an off-oil program and perhaps connect
 19 some or all of these Isolated Diesels to the
 20 grid? Can you tell me if there's any thought
 21 given to that?
 22 MR. MARTIN:
 23 A. Yes, I'm sure, Commissioner Martin, there's
 24 been thought given to that. One of the
 25 functions of our system planning department is

Page 93

1 MR. MARTIN:
 2 to continually review this, on an ongoing
 3 basis, to see whether or not there is
 4 justification for interconnecting any of these
 5 isolated rural communities to our system.
 6 Obviously the rising price of oil would be one
 7 of the impacts that they would be looking at
 8 on an ongoing basis. The particular project
 9 at Rencontre East, and I'm sure you're aware
 10 of this, is driven by the fact that we had an
 11 opportunity there to do something. The plant
 12 was destroyed. We could put the money either
 13 into an interconnection or a new plant, and
 14 that was, for us, a bit of a no brainer, if
 15 you will, but I take your point, and yes, our
 16 system planning department, which Mr. Haynes
 17 can perhaps discuss with you in more detail,
 18 they are always looking at ways and means that
 19 we could interconnect some of these
 20 communities and get them off diesel fuel.
 21 Q. That was the only question I had.

22 CHAIRMAN:
 23 Q. Mr. Martin, I wonder if you could just clarify
 24 for me, in relation to the Wood Pole Program
 25 on B-28, there's a couple of other projects,

Page 95

1 They, no doubt, are on a 25 kV or 12 1/2 kV
 2 system and do not come under--they're part of
 3 the 75,000 wood poles I mentioned in our
 4 presentation that are on the distribution
 5 system, and they're not covered by our
 6 proposed Wood Pole Management Program.
 7 Q. Does that apply to the upgrade distribution
 8 system? Obviously it does.

9 MR. MARTIN:
 10 A. Yes. Yes, that's correct.
 11 Q. Okay. With regard to the project outlined on
 12 B-54, upgrade distribution line L7 St. Anthony
 13 to Cook's Harbour, in the justification there,
 14 you conclude that "replacement of this section
 15 of line is expected to result in reducing the
 16 SAIFI and SAIDI indices for this system to a
 17 level closer to the Hydro average." When you
 18 say to a level closer to the Hydro average,
 19 marginally closer, moderately closer,
 20 substantially closer?
 21 MR. MARTIN:
 22 A. Again, it's--doing these what-if analysis,
 23 that we call them, it's extremely difficult to
 24 accurately quantify the expected improvements.
 25 Q. So there was a what-if analysis done here, was

Page 94

1 and I'm not quite sure, such as B-50 and B-66,
 2 B-50 relating to upgrading distribution
 3 systems, and that involves replacement of
 4 deteriorated poles, although I'm not quite
 5 sure what percentage of that particular
 6 project would relate to deteriorated poles,
 7 and I appreciate the B-66 project, the English
 8 Harbour West system, only involves 35 poles.
 9 But I'm just wondering, can you clarify how
 10 that deteriorated pole replacement relates to
 11 the project in B-28, the overall program?
 12 MR. MARTIN:
 13 A. Yes. The program that we're proposing under
 14 replace wood poles transmission on B-28 only
 15 refers to the poles on our high-voltage
 16 transmission system, the 69 kV, 138 kV and 230
 17 kV transmission lines. So that's where we're
 18 focusing our attention initially. It has the
 19 biggest impact on the system with regards to
 20 reliability of the total system. So we're
 21 only, at this point in time, looking at the
 22 26,000 wood poles on the transmission network.
 23 The project referred to under B-66 is the
 24 replacement of deteriorated poles on the
 25 English Harbour West distribution system.

Page 96

1 there?
 2 MR. MARTIN:
 3 A. No, there wasn't. There are numerous problems
 4 on that line. We're looking at the phase
 5 spacing on the line. We're looking at
 6 installing mid-span poles, changing cross arms
 7 and so on. So typically where there's a
 8 multiple number of problems that we've
 9 identified as root causes for outages, it's
 10 really not practical or even sensible to go
 11 back and try to predict how much of an
 12 improvement you're going to see. Another
 13 important factor to remember about this line
 14 is our statistics as quoted only refer to what
 15 we call sustained outages. They are one
 16 minute or longer, and I think we did mention
 17 here in the justification that one of the
 18 problems we've seen on that particular
 19 distribution circuit is momentary outages,
 20 with regard to line slaps and so on. That is
 21 another important issue that we're going to
 22 correct by this problem that won't necessarily
 23 show up in the statistics at the end of the
 24 day, but the numbers, as you'll see,
 25 particularly with regards to the duration of

Page 97

1 MR. MARTIN:
 2 the outages, the SAIDI at 30.13 on the top of
 3 page B-55, comparing that with the Hydro
 4 average of 11.9 or say 12, it's two and a half
 5 times the Hydro average. There is no doubt
 6 that these upgrades will significantly improve
 7 those numbers, but to what degree, we can't
 8 accurately predict.
 9 Q. The final question I had, Mr. Martin, related
 10 to the air-conditioning systems in Whitbourne
 11 and Stephenville, and I have to confess, you
 12 know, I'd like to have some elaboration as to,
 13 you know, why your alternative methods of
 14 looking at correcting that system were not
 15 deemed to be appropriate, you know, in
 16 particular with regard to using the window-
 17 type air-conditioners or wall-mounted air-
 18 conditioners you might see? You know, they
 19 appear to be, you know, so common to see in
 20 office buildings anywhere around St. John's or
 21 the province, and I'm particularly interested
 22 as to why they were not appropriate or would
 23 not work in Stephenville or -
 24 MR. MARTIN:
 25 A. Well, as I understand it, I'm certainly not an

Page 99

1 GREENE, Q.C.:
 2 Q. Yes. No, it's not there. It's IC-20.
 3 MR. MARTIN:
 4 A. 20, is it? The general office area in
 5 Whitbourne is roughly 650 square feet. We
 6 also have a boardroom there of 344 square
 7 feet. In Stephenville, if I'm reading this
 8 correctly, the general office area is roughly
 9 300 square feet, with a foray and corridor
 10 area and they are connecting into that, so
 11 that particular area is roughly close to 600
 12 square feet.
 13 CHAIRMAN:
 14 Q. Okay, and I guess, are you indicating it's
 15 because of the configuration internally of the
 16 room that these outside air conditioners
 17 wouldn't be appropriate?
 18 MR. MARTIN:
 19 A. That's my understanding, yes.
 20 Q. I have no further questions. Ms. Greene,
 21 anything arising?
 22 GREENE, Q.C.:
 23 Q. I have no redirect, Mr. Chair.
 24 CHAIRMAN:
 25 Q. Mr. Hayes?

Page 98

1 expert in air-conditioning systems, so I'm
 2 speaking just from information I've gathered
 3 from others. As I mentioned before, we did
 4 try those in one or two of the offices out
 5 there. In the estimation of our engineering
 6 people, they were totally inaccurate. The
 7 people there still had to leave the room
 8 because of the heat. At times, the noise was
 9 unbearable. Out in the larger office areas,
 10 like where our clerks and our office
 11 administration people sit, out in the general
 12 office area, as I understand it, you cannot
 13 cover off the air-conditioning in an area like
 14 that through a window-type unit.
 15 Q. How many square feet are you talking about
 16 there?
 17 MR. MARTIN:
 18 A. I believe we have that in the response to an
 19 RFI.
 20 MR. HOLDEN:
 21 A. IC-21.
 22 MR. O'RIELLY:
 23 Q. Could you repeat that?
 24 MR. MARTIN:
 25 A. IC-21.

Page 100

1 MR. HAYES:
 2 Q. No, Mr. Chair.
 3 CHAIRMAN:
 4 Q. Mr. Hutchings?
 5 HUTCHINGS, Q.C.:
 6 Q. Nothing arising.
 7 CHAIRMAN:
 8 Q. Anything?
 9 MR. COXWORTHY:
 10 Q. Nothing, Chair, thank you.
 11 CHAIRMAN:
 12 Q. Okay. Fine, thank you, gentlemen.
 13 MR. MARTIN:
 14 A. Thank you.
 15 MR. HOLDEN:
 16 A. Thank you.
 17 GREENE, Q.C.:
 18 Q. Mr. Chair, our next witness is Mr. Haynes, the
 19 vice-president of production, who will speak
 20 to, at this time, to the Hydro plants and
 21 thermal plant projects. It'll only take a
 22 moment for him to get set up. Thank you very
 23 much, Mr. Martin and Holden. At this time, we
 24 do have a copy of a presentation that Mr.
 25 Haynes, or some slides that Mr. Haynes will be

Page 101

1 GREENE, Q.C.:
 2 speaking to as we do his direct evidence.
 3 (11:48 a.m.)
 4 MR. JAMES HAYNES, SWORN
 5 CHAIRMAN:
 6 Q. State your full name for the record, please.
 7 A. James Haynes.
 8 GREENE, Q.C.:
 9 Q. Mr. Haynes, what is your current position at
 10 Hydro and what are the responsibilities of
 11 that position?
 12 A. I'm currently the vice-president of
 13 production, and the production division is
 14 responsible for six areas of Hydro. First of
 15 all, we look after the planning of any new
 16 generation, transmission or distribution
 17 systems through the system planning
 18 department. We also look after the operation
 19 and maintenance of the Hydro plant, which is--
 20 I'm sorry, I should go back. With respect to
 21 the hydro generation, we look after Bay
 22 D'Espoir plant, Cat Arm plant and so on. We
 23 also look after the thermal facility operation
 24 and maintenance at Holyrood, and the energy
 25 control centre looks after the economic

Page 103

1 well.
 2 Q. Those pictures just give a general indication
 3 of some of your areas of responsibility for
 4 Hydro?
 5 A. That's correct.
 6 Q. How long have you been with Hydro?
 7 A. I've been with Hydro for 27 and a half years.
 8 Q. How long in your current position as vice-
 9 president of production?
 10 A. About three and a half years in this position.
 11 Q. What were the positions you held prior to your
 12 current position?
 13 A. Since joining Hydro in 1977 I've been in
 14 various positions in the operations,
 15 engineering and planning division sections of
 16 Hydro. Most recently--also at Churchill Falls
 17 for several years. And when I left, I was the
 18 general manager of that facility. And prior
 19 to that I was the director of plant operations
 20 and maintenance. Prior to going to Churchill
 21 Falls I was a manager of transition planning
 22 in the planning division, and prior to that a
 23 planning engineer, I worked in engineering
 24 operations and I worked for a little over two
 25 years on the construction of Holyrood unit No.

Page 102

1 dispatch on a 24-7 basis of the main system
 2 grid, and the dispatch of the hydro and
 3 thermal generating plants. Also, the
 4 production division looks after the
 5 information systems and telecommunications
 6 department and they provide computing services
 7 to basically all of Hydro, hardware and
 8 software.
 9 Q. Mr. Haynes, could you please identify what the
 10 pictures that have come up on the screen?
 11 A. Sorry?
 12 Q. The pictures, could you please point out what
 13 -
 14 A. Oh, I'm sorry. The picture in the top left-
 15 hand corner is the hydro facility at Bay
 16 D'Espoir. That's the largest hydro facility
 17 that we have on the island, containing two
 18 power houses. In the bottom right-hand corner
 19 is the thermal plant at Holyrood, which is
 20 three generators and 466 megawatts. And I
 21 guess the other thing that's shown in that
 22 particular slide is just a typical microwave
 23 tower that we use in our cross-island
 24 communication system, and would likely be the
 25 host to some of the VHF radial systems as

Page 104

1 3 in the late 70s, early 80s.
 2 Q. And in your role with respect to Churchill
 3 Falls, I understand from your answer that you
 4 were responsible for the hydroelectric plant
 5 that's there?
 6 A. The hydroelectric plant, that's a pretty broad
 7 job, actually. It's the hydro plant, the
 8 transmission lines, the terminal stations,
 9 transportation, airport, pretty well
 10 everything there, actually.
 11 Q. And how large is the Churchill Falls plant?
 12 A. That's a 5428 megawatt facility.
 13 Q. It's one of the largest underground
 14 powerhouses in the world, is that correct?
 15 A. It is the largest underground powerhouse in
 16 the world.
 17 Q. Now, looking to the 2005 Capital Budget,
 18 looking here now at page A-1. What projects
 19 are you responsible in speaking at this
 20 hearing?
 21 A. I will be speaking to the generation items
 22 under generation for 2005, as well, the--with
 23 the exception of the gas turbines at Happy
 24 Valley, Stephenville and Hardwoods which come
 25 under TRO. As well, I'll be speaking to the

Page 105

1 MR. HAYNES:
 2 IS and T sections of the general properties,
 3 they also come under the production division.
 4 Q. Okay. Before we get into the specific
 5 projects, I wonder if you could please just
 6 describe, as Mr. Martin did for his system,
 7 take the Commissioners through the system that
 8 you are responsible for?
 9 A. Okay. This slide is just basically a repeat,
 10 I guess. We were referring to the hydro
 11 plants that come under the production
 12 division. As I've mentioned before, it's Bay
 13 D'Espoir. There are several others which I'll
 14 describe shortly. And the thermal facility
 15 which obviously the primary one that I look
 16 after is the facility at Holyrood which is a
 17 fairly big piece of our generation portfolio
 18 and a very critical one, I might add, and as
 19 well as the communications and the corporate
 20 communications and computing facilities also
 21 come under production division. So, with
 22 respect to the system map, just got to get
 23 this cursor to work. Excuse me. There it is.
 24 Basically with respect to the transmission
 25 grid, the transmission system basically we

Page 107

1 centre, which is slipped in there in the slide
 2 presentation, that is the arena where on a 24
 3 hour basis the generation is turned on and off
 4 or scheduled from the point of view of how
 5 many megawatts comes from where. It also
 6 looks after the voltage regulation on the
 7 system and dispatches transmission lines,
 8 responds to customer outages or equipment
 9 outages and facilitates the planned outages of
 10 lines and plants to ensure maintenance is done
 11 and also to ensure that there's a minimum
 12 interruption or disruption to our customers.
 13 Lastly, I guess, across the island, which we
 14 have not indicated, there is a communications
 15 system. The backbone communication system is
 16 a microwave radio system and of course we
 17 maintain the VHF radio system so we can
 18 communicate with our workers and the plants or
 19 field crews doing the various maintenance,
 20 both routine and emergency that basically
 21 happen on a daily basis.
 22 Q. Mr. O'Rielly, could you bring up, please, page
 23 A-4? Here, Mr. Haynes, beginning on page A- 4
 24 of the application we see the breakdown of the
 25 projects under Hydro plants. That's where the

Page 106

1 have hydro plants at Bay D'Espoir, which is
 2 580 megawatts and 2635 gigawatt hours. We
 3 have Upper Salmon, which is 84 megawatts and
 4 541 gigawatt hours. And we have Cat Arm,
 5 which is 127 megawatts and 735 gigawatt hours.
 6 Hynes Lake, which is connected to the 138 grid
 7 that Mr. Martin was describing is 75
 8 megawatts, 340 gigawatt hours. And our newest
 9 hydro plant, of course, is Granite Canal,
 10 which is in service and operating well now at
 11 40 megawatts and 224 gigawatt hours. That's
 12 the hydro plants. We have some smaller ones
 13 at Paradise River and Snooks and Venans. And,
 14 of course, Holyrood, which is on the Avalon
 15 Peninsula, which is the biggest generating
 16 source on the Avalon is 466 megawatts and we
 17 plan for 2996 gigawatt hours per year. With
 18 the exception of Granite Canal, which is a new
 19 one, most of this equipment is in excess of 25
 20 years of age. And we must invest capital to
 21 insure it remains reliable and at the most
 22 reasonable cost to serve our customers' needs
 23 and to ensure reliability is--that we are
 24 dependable in our delivery of power and
 25 energy. As well for the energy control

Page 108

1 listing starts. And could we go to page A-5,
 2 Mr. O'Rielly? Here on page A-5 we see the
 3 similar listing of projects for the thermal
 4 plant which is Holyrood. Were the project
 5 descriptions that are contained in Schedule B
 6 for each of these projects that are over
 7 \$50,000 prepared under your direction?
 8 A. Yes, they were.
 9 Q. Do you accept them as your evidence for the
 10 purpose of this hearing?
 11 A. Yes, I do.
 12 Q. Evidence was pre-filed on August 10th for
 13 production. Do you wish to make any changes
 14 to the evidence at this time?
 15 A. Yes. There were two minor corrections I would
 16 like to make in the pre-filed evidence.
 17 Firstly, on page 2.
 18 Q. Page?
 19 A. Page 2 if I could first, I'm sorry. On page
 20 in the table it indicates that the
 21 Stephenville gas turbine is 25 megawatts
 22 installed capacity. It's, in fact, 54
 23 megawatts. I apologize.
 24 Q. So that was just a simple typo or anyway, it
 25 was a mistake?

Page 109

1 MR. HAYNES
 2 A. Yes.
 3 Q. The 25 shown for Stephenville for installed
 4 megawatts should be 54, is that correct?
 5 A. That's correct. And the second correction is
 6 on page 7, line 27. And at line 27 it
 7 indicates that the expenditures during 2004
 8 were \$3.1 million. That is, in fact, the
 9 expenses up to the end of 2004. There was
 10 approximately \$387,000 spent on that approved
 11 project, I'm sorry, in 2003. So it's just
 12 replace the word "during" with "up to".
 13 Q. So that's on line 27, replace the word
 14 "during" with "up to", is that correct?
 15 A. That's correct.
 16 Q. With those two minor amendments, do you accept
 17 your August 10th evidence as just amended as
 18 your evidence for the purpose of this hearing?
 19 A. Yes, I do.
 20 CHAIRMAN:
 21 Q. So replace the word "during" on line 27?
 22 GREENE, Q.C.:
 23 Q. Yes. With "up to".
 24 A. Yes, "up to". It's up to the end of 2004 we
 25 would anticipate.

Page 111

1 related to the age of facilities and they're
 2 intended to ensure continued availability to
 3 meet our customers' needs reliably and cost
 4 effectively. The fuel tank proposal is a
 5 regulatory requirement which will bring these
 6 fuel systems up to compliance with legislation
 7 so we can get the necessary approvals and
 8 registrations in place from the provincial
 9 regulator.
 10 (12:00 p.m.)
 11 Q. Now, there are two significant projects there
 12 under that heading of "Construction Projects"
 13 under "Hydro Plants" that I'd like to talk--or
 14 you to give evidence with respect to. The
 15 first is the Slope Stabilization Project for
 16 Upper Salmon. Could you please describe that
 17 project, Mr. Haynes?
 18 A. Yes. I'll just use the slide. This
 19 particular picture on the screen right now is
 20 a picture of the Upper Salmon development.
 21 And over in the top right-hand corner where
 22 the cursor is right now is a general area of
 23 concern that we have, and it's basically a
 24 slope stability issue with the power canal.
 25 This canal is used to direct water to the

Page 110

1 CHAIRMAN:
 2 Q. I see. Sure, yes.
 3 GREENE, Q.C.:
 4 Q. The money wasn't all spent during the year,
 5 it's been spent prior to and during.
 6 CHAIRMAN:
 7 Q. Okay. Thank you.
 8 GREENE, Q.C.:
 9 Q. Mr. Haynes, you were present when Mr. Martin
 10 testified and explained his role as vice-
 11 president at Hydro in the Capital Budget
 12 process. Is that a similar role to your role
 13 as vice-president of production?
 14 A. Yes, that basic process is pretty consistent
 15 throughout Hydro.
 16 Q. Mr. O'Rielly, now could we go to page A-4,
 17 please? And which we're going to start
 18 looking at the specific 2005 capital projects,
 19 work production under the heading here of
 20 "Generation". The first heading is "Hydro
 21 Plants". What type of projects are in this
 22 category?
 23 A. For the construction project grouping there,
 24 with the exception of the fuel tank
 25 replacement, they are projects directly

Page 112

1 plant from Cold Spring Pond. This structure
 2 is approximately 21 years old. And there were
 3 issues during construction with respect to
 4 that slope and there's been a fair bit of time
 5 and effort spent looking at it, doing some
 6 small operating remedial work in the sense of
 7 berms and so on. And it's been a growing
 8 concern with our Dyke Board, who are a group
 9 of national consultants, basically, who come
 10 in once a year to oversee our dyke safety and
 11 maintenance program to give us suggestions, to
 12 give us advice on how to properly ensure that
 13 they remain safe, intact and do their job in
 14 the long term. The particular project was
 15 approved in 2004 and the 2004 work is
 16 basically to do an engineering review to come
 17 up with a permanent long-term, long-lasting
 18 solution. The particular issue and more, I
 19 guess, this particular--this is the item of
 20 concern, it's about 400 feet along this
 21 particular canal and this is a fairly steep
 22 slope. It's 40 meters--excuse me. It's
 23 approximately 40 meters higher than the water,
 24 although it doesn't quite look like it on the
 25 screen, but that is the actual height. It's

Page 113

1 MR. HAYNES:
 2 fairly wet. And what happens is that there
 3 are issues with respect to the slope
 4 stability. And the fear is that eventually
 5 that this particular slope will slide into the
 6 canal, block it off, possibly undermine the
 7 other bank which would cause a loss for a
 8 considerable of time. This is a more specific
 9 shot just looking at the actual slope. And
 10 you can see these particular lines here where
 11 there's some shifting or the geotechnical term
 12 may not be sliding, but sort of sliding or
 13 sloping of the dyke material into the canal.
 14 So this particular project is in our view very
 15 important to retain the integrity of the dyke
 16 in the long term, to prevent a failure and as
 17 I said, the Dyke Board has been particularly
 18 engaged in the last number of years. In fact,
 19 they've mentioned it in their reviews on
 20 several occasions in the past, some, quite a
 21 number of occasions. And I guess this last
 22 review I guess we have concluded that we
 23 really need to take a hard look at this and to
 24 remediate the particular work. The situation
 25 with Upper Salmon, I should add, is that it is

Page 115

1 kind of work, and quite possibly impossible to
 2 do it at that time of the year, which would
 3 extend the outage. So that's that particular
 4 slope stabilization project.
 5 Q. Now, Mr. O'Rielly, could you return to page A-
 6 4, please? The second significant project
 7 that's there under the heading of
 8 "Construction Projects" is the--that I'd like
 9 to speak about at this time is the replacement
 10 of the Penstock for Snook's Arm where there is
 11 a proposed capital expenditure of 115,000 in
 12 2005 with 1.8 million in future years. Could
 13 you describe that project for the Panel, Mr.
 14 Haynes?
 15 A. Yes. The Snook's Arm plant was acquired by
 16 Hydro in 1967 or '68, I believe. It's a small
 17 590 kilowatt plant, it's still used and
 18 useful, it does displace oil. The plant is
 19 located in approximately this area right here.
 20 The actual reservoir is up here and a penstock
 21 more or less follows this road down through
 22 this housing area and so on. So the plant
 23 itself is approximately 50 years old, and as I
 24 mentioned, it's still economic and does
 25 justify the work planned, in our view. The

Page 114

1 a sort of run of the river plant, it's behind
 2 Bay D'Espoir. Most of the water that gets
 3 turbined at Bay D'Espoir goes through Upper
 4 Salmon. If that plant is rendered unavailable
 5 because we have a slope failure, we would have
 6 to spill around Upper Salmon plant, so--and
 7 when we spill around, we won't lose the water
 8 from Bay D'Espoir, but we won't have the
 9 opportunity to generate that particular
 10 turbine, that water. And that particular
 11 plant average in a year displaces
 12 approximately 850,000 barrels of oil. If the
 13 outage was for six months, then basically it
 14 would be, you know, 400,000 barrels of oil
 15 which obviously is a considerable cost factor
 16 to Hydro. So, what we propose to do, and this
 17 work is ongoing as we speak, is to define the
 18 solution. The estimate that we put forth in
 19 the Capital Budget was as phrased is a
 20 preliminary one. It's under review as we
 21 speak, again. And what we want to do is do a
 22 planned methodical repair and not be pushed
 23 into the corner and have to do an emergency
 24 repair in the middle of the winter, which
 25 would be not a very opportune time to do this

Page 116

1 wood stave penstock, it's leaking, it's very
 2 deteriorated, runs through the community,
 3 which poses obviously some safety aspects
 4 which we are very cognisant of. Continuing to
 5 operate the plant as it is right now is not an
 6 option. And the \$1.9 million that we have
 7 budgeted for the whole project is a two-year
 8 project. In 2005 we want to do a--we plan to
 9 do an engineering review and to define the
 10 scope of work and to bring this basically to a
 11 point where we can move on in the most cost
 12 effective way. The penstock itself, this is
 13 just a collage of pictures of the penstock.
 14 It's a typical, I won't necessarily say old
 15 fashioned, but it's typical wood stock
 16 penstock that's been around the system for
 17 years. This is called brooming. These steel
 18 bands basically kept the wood staves together.
 19 It's I think a two by four inch Douglas fir is
 20 the material. It is 50 years old, so this is
 21 not an uncommon--you see the brooming. On
 22 this picture right here you can see there are
 23 metal plates pushed in various places and
 24 under--for instance, right here is one here
 25 that are pushed under the steel band to secure

Page 117

1 MR. HAYNES:
 2 a leak, to keep the wood in, to keep it, I
 3 guess for lack of a better word, to keep it
 4 together. In the lower right-hand corner you
 5 can see some of the novel repair techniques
 6 that some fellows use when they're desperate.
 7 It's basically they've driven nails in. That's
 8 not a great way to do it, but I guess at the
 9 time, this has been done for a number of years
 10 by various people, I guess, and so on. But
 11 that is not an appropriate way to do it.
 12 There is really no appropriate way unless you
 13 take it apart. You see the deterioration of
 14 the wood here as well. And obviously in the
 15 far right there is a fairly significant leak.
 16 In the wintertime these things ice up as well,
 17 which cause other issues, and some stresses,
 18 if you will, on the penstock. If it ices up
 19 too much, there's a tendency to tear it apart.
 20 The centre photograph, I just wanted to, just
 21 to indicate the location of the penstock with
 22 respect to some of the houses. So while it's
 23 not a major concern to be adjacent to that
 24 houses, per se, it certainly is a major issue
 25 for us with the deteriorated condition of the

Page 119

1 of about 5000 barrels a year. It also
 2 includes a capacity item, because while it's
 3 590 kilowatts, it is part of our portfolio, it
 4 is used in the calculation of our system, you
 5 know, reliability criteria for generation,
 6 which is loss of load expectation which is
 7 discussed often times during our general rate
 8 applications as well as the retirement costs
 9 of the Snook's Arm plant. We just can't walk
 10 away from a facility. If we retire any plant
 11 or any physical facility, we have to
 12 demobilize the site, we have to also get
 13 permission from the Public Utilities Board, of
 14 course, but in addition to that we have to get
 15 approval from the Environment Department
 16 because there is a powerhouse, there's a
 17 penstock, there's also a dyke and dam that
 18 would have to be retired from service and I
 19 guess the Department of Environment would
 20 dictate what we have to do. So we have
 21 allocated monies that in our estimate would
 22 cover off that in the, I'm sorry, the -
 23 Q. Retirement option?
 24 A. The retirement alternative. Thank you.
 25 Q. Mr. O'Rielly, I wonder could you go, please,

Page 118

1 penstock. If there were a leak to happen, it
 2 would cause property damage and obviously
 3 safety issues with the local residents. So,
 4 we have looked at the option to, you know, to
 5 retire the plant in our study which was
 6 provided in the tab G, I believe, and the
 7 least cost alternative is to basically replace
 8 the penstock and the levelized cost that we've
 9 calculated over the long term is approximately
 10 six cents a kilowatt hour and the alternative
 11 is approximately 7.6. So it's basically based
 12 on economics that it's still a used and useful
 13 plant and it's prudent to replace the penstock
 14 and continue this operation. And there are
 15 obviously environmental benefits as well, it's
 16 less oil, albeit a small amount compared to
 17 what we'd normally burn.
 18 Q. Mr. Haynes, you mentioned the alternative of
 19 not replacing the penstock and taking Snook's
 20 Arm out of commissioning. The alternative was
 21 7.6 cents per kilowatt?
 22 A. Yes, that's correct.
 23 Q. What did this alternative include?
 24 A. That includes basically replacement energy
 25 from the Holyrood facility which is in excess

Page 120

1 to page A-5? Here we see the breakdown of the
 2 projects that are under "Thermal Plant". What
 3 types of projects are listed here under
 4 "Thermal Plant", Mr. Haynes?
 5 A. In the thermal plant section there are two
 6 capital intensive projects and they are age
 7 related. One is the continuation of the
 8 control system upgrade, which is actually in
 9 progress as we speak. The other projects
 10 which we are proposing to start on in 2005 is
 11 the upgrade of civil structures, which
 12 basically is a--similar to the job that we did
 13 last year, which is basically to replace the
 14 liner in the chimney or the stack and the
 15 steel works and gradings in the cooling water
 16 structure which basically is the salt water
 17 intake for cooling water. The other project
 18 that's there, a significant project of
 19 \$750,000 is an anti-fouling system for the
 20 cooling water system. And that particular
 21 system will prevent the accumulation of
 22 muscles in the condenser and the cooling water
 23 system which cause us efficiency losses, cause
 24 us to derate the unit over the winter over
 25 periods of time until we can backwash and

Page 121

1 MR. HAYNES:
 2 occasionally get in and actually shovel it
 3 out, although that is a little bit rare during
 4 the winter, but it is possible. So this
 5 particular system is based on economics. It's
 6 a new system that we do not have now. And
 7 this plant is, as I mentioned in the previous,
 8 some previous words, it's a very critical part
 9 of our portfolio and we're striving to make
 10 sure it's most efficient as we can and
 11 reliable as we can. So this is a--and the
 12 economics basically justify this project as
 13 well.
 14 Q. Now, that was a brief overview of the types of
 15 projects. I wanted to look at three of those
 16 in a little bit more detail. The first is the
 17 control system that's indicated there. Could
 18 you please describe that project which is a
 19 multi year project that we're more than
 20 halfway through, is that correct?
 21 A. That's correct.
 22 Q. Okay. Can you please describe that project?
 23 A. That particular project, maybe I can just go
 24 to the next slide? This doesn't have a lot to
 25 say to the control system. But the Holyrood

Page 123

1 end of this year when No. 2 is completed,
 2 which will be November and all the things are
 3 issued, we will have spent the \$1.6 million of
 4 the 2004 budget approval.
 5 Q. The second significant project for the
 6 Holyrood thermal plant you referred to
 7 already, it's the anti-fouling system for the
 8 cooling water system at the Holyrood plant.
 9 Could you please describe for the
 10 Commissioners this particular project?
 11 A. Yes. I mentioned a few minutes ago, it's
 12 based on economics. But I guess I'll just--a
 13 couple of pictures of the specific issue. Our
 14 cooling water intake, if I go back to--if I go
 15 back to this slide right here and I can get my
 16 cursor back, the cooling water intakes are
 17 right here. This is the intake for Units No.
 18 1 and 2. And this over here is the intake for
 19 No. 3. And while you don't see it, this is
 20 Indian Pond, which is connected to the ocean
 21 to a trestle just right here. So we basically
 22 take sea water in and run it through the
 23 condenser and then basically we discharge the
 24 water up through here. This particular
 25 picture is you got the intake and it goes on

Page 122

1 facility which you see there is a pretty
 2 complex creature to operate. And I know that
 3 we've had some of the Board members out there
 4 previously and Board staff to view that
 5 particular facility. The control system is
 6 basically what allows the operators to operate
 7 that plant on a 24 hour basis. And the
 8 control system was approved last year and is
 9 well under way. The Units No. 1 is operating
 10 as we speak with the new control system. Now,
 11 they are still doing some tuning of that
 12 system. Unit No. 2 will be completed by, I
 13 believe it's the first week of November or the
 14 second week of November. And during 2004 we
 15 will spend approximately \$1.6 million of the
 16 roughly \$2.6 million budget, and for 2005 it's
 17 a continuation to do the same thing for Unit
 18 No. 3. And basically it's a critical
 19 component, it was forced--we were forced to
 20 change that out because of obsolescence of the
 21 old equipment. And if we want to continue to
 22 reliably operate that plant with less failures
 23 and unplanned interruptions, then we must
 24 continue to replace that particular piece of
 25 equipment. And I guess as I mentioned, by the

Page 124

1 through the condenser system is that we get,
 2 particularly at certain times of the year, an
 3 extreme accumulation of muscles. This is the
 4 walls of the pipe at the cooling intake. That
 5 goes on through and the muscles actually are,
 6 you know, our delicacy in some people's eyes,
 7 anyway, sticks to this thing. It affects the
 8 efficiency of the condensing process. And it
 9 jeopardizes reliability in a sense that--or
 10 availability, I should say, in a sense that we
 11 have to derate. In fact, I think in--I
 12 shouldn't say I think. In 2003, for example,
 13 we would actually have gone in during the
 14 operating season 73 times and done backwashes
 15 on the condenser. When we do a backwash, we
 16 have to run back on load. So that has to be
 17 coordinated with the energy control centre,
 18 other hydro generation has to be on, and all
 19 these things affect our kilowatt hours per
 20 barrel, which I guess is our measure at
 21 Holyrood.
 22 (12:15 p.m.)
 23 So this particular project is approximately
 24 \$700,000 and the payback is less than ten
 25 years and what the copper ion injection will

Page 125

1 MR. HAYNES:
 2 do is prevent the accumulation and the growth
 3 of these muscles, so we should maintain a
 4 higher efficiency. It doesn't mean we won't
 5 have to backwash, but it should not be 75
 6 times, it should be considerably less. And
 7 basically it will maintain the condenser
 8 efficiency which maintains the vacuum on the
 9 turbine and allows us to do a more efficient
 10 process. And these particular slide, by the
 11 way, are from Holyrood, they're not--muscles
 12 are often a problem in many other utility
 13 seawater intakes and this is not an uncommon
 14 problem. And the particular system that we're
 15 proposing is a, you know, five years ago it
 16 was a new system, or ten years ago it was a
 17 new system, but it's being adopted by
 18 utilities fairly often now and we think will
 19 pay for itself very quickly.
 20 Q. The last project in this category for the
 21 thermal plant I wanted to address in direct
 22 evidence is the upgrade of the civil
 23 structures at the plant. Could you please
 24 describe that project?
 25 A. Yes. That particular project we have there is

Page 127

1 upper part, which was stainless steel, and in
 2 fact, we had to replace it all. And so this
 3 is basically it's a continuation to ensure the
 4 reliability for that in the coming future. In
 5 the bottom left just to indicate how we did
 6 it, which may not be the way we're going to do
 7 it next time, because this particular crane is
 8 apparently, we understand no longer available
 9 in the province, this is a pretty high stack.
 10 I can't quote the number offhand, I forget.
 11 But basically we removed the old section up
 12 through the top and we installed it down
 13 through. That normally in most--where a crane
 14 is not available you actually do it from the
 15 inside. But that will be determined over the
 16 course of time as we tender the project and
 17 see what the vendors actually come up with.
 18 The issue with not doing it, I guess, it's a
 19 safety issue, obviously it's a reliability
 20 issue and safety issue. If the internal steel
 21 column were to collapse during operation, the
 22 exit gas has to go somewhere. Obviously if
 23 this thing falls down inside, there's lots of
 24 safety issues, but if the boiler is going, the
 25 gas has to escape. The boiler will shut down

Page 126

1 the replacement of the stack liner and the
 2 cooling water intake screen structure at the
 3 Holyrood Unit No. 2. During 2003--I guess in
 4 2002 we did the preliminary engineering on how
 5 we're going to approach this particular
 6 problem. And we did actually carry out that
 7 work in 2003. And what we have here, just to
 8 demonstrate, is the actual screen structure
 9 that we did have. These are just basically
 10 holes that are burned through the steel where
 11 the steel is eroded. Similarly, right here
 12 this particular piece is a section that was
 13 removed and laid down. It's just the long
 14 section is rusted, deteriorated. And these
 15 holes and weak spots, it used to be a quarter
 16 inch steel plate and these particular, not all
 17 necessary punctures because we have over the
 18 years gone back several times and done, many
 19 times and done repairs. We would put in a,
 20 weld in a new piece of steel, but after 34
 21 years of operation it's been deteriorated to
 22 the point where we had to go. In fact, the
 23 actual condition of the liner in No. 1 was
 24 worse than we anticipated, because we had
 25 anticipated actually reusing a part of the

Page 128

1 automatically when the boiler pressure goes
 2 up, but there's still exit gas in the fireball
 3 that has to be looked after and there is a
 4 possibility it could jeopardize the
 5 availability of the whole plant, not just that
 6 particular unit. And one of these units, No.
 7 2, is 175 megawatts of our winter capability
 8 and it's critical that we make sure it's
 9 available for our customers' needs.
 10 Q. So the pictures on the screen that we have
 11 there before us are pictures of the liner that
 12 was removed from the unit that has been done,
 13 is that correct?
 14 A. These two on the top are and the lower right-
 15 hand corner are the liner that was removed.
 16 On the lower, right-hand corner these are the
 17 replacement sections. That's, I think, it's
 18 insulation and this, you can't see it very
 19 well but that one there would have the
 20 insulation around it as well. This is
 21 insulation. This is insulation that's up here
 22 which has also been deteriorated in certain
 23 places.
 24 Q. And I believe you've indicated the condition
 25 of the liner that was removed from the other

Page 129

1 GREENE, Q.C.:

2 unit was actually worse than had been

3 originally thought, is that correct?

4 A. Yes, it was, worse than we'd anticipated when

5 we actually sought approval to replace the

6 stack. And it's 34 years old, operating in a

7 salt environment with hot exit gases which

8 are, you know, do have obviously, you know,

9 acids and so on.

10 Q. Do you have any reason to believe that the

11 condition of the No. 2 liner would be any

12 better condition than the other unit?

13 A. No. They were built at the same time and they

14 have roughly the same operating experience.

15 We would anticipate no significant difference

16 in the conditions.

17 Q. Is it fair to say that an in service failure

18 of that liner would be considered to be a

19 major serious event affecting the reliability

20 of the Holyrood thermal plant?

21 A. Certainly. As I mentioned, it's a safety

22 issue. If it does collapse, you cannot--you

23 know, we would not consider continuing use of

24 the unit with out the steel liner. It would

25 deteriorate the concrete section of the stack

Page 131

1 our system and that were gone tomorrow, we

2 would be back here the day after tomorrow

3 seeking approval to come in and do something,

4 replace it with other generation, because we

5 would be well outside of our planning

6 criteria.

7 Q. Thank you, Mr Haynes. That concludes the

8 direct evidence for Mr. Haynes at this time.

9 And you will recall in the opening statement

10 yesterday morning I indicated our plan is to

11 deal with the hydro and thermal plant projects

12 that are shown on pages A-4 and A-5 at this

13 time. And then we would follow that with a

14 panel where Mr. Downton and Mr. Dunphy would

15 join Mr. Haynes only for the radio project.

16 So the intent at this time is to do all of the

17 hydro and thermal plant projects and that's

18 what was spoken to in the direct evidence so

19 far. Thank you. That concludes the direct

20 evidence portion of this part of the -

21 CHAIRMAN:

22 Q. Fine. Thank you, Ms. Green. Mr. Hayes, I

23 guess with respect to cross-examination we'll

24 wait until after lunch.

25 MR. HAYES:

Page 130

1 and the replacement costs would be

2 considerably more. It would also render the

3 unit unavailable for an extended period of

4 time. You know, we are trying to be proactive

5 and to propose these, you know, significant

6 capital replacement projects to ensure

7 availability. And any failure of 175 megawatt

8 unit, you know, that would be, put this

9 machine out of service for months. And in the

10 winter that would be a considerable nuisance

11 to all our customers.

12 Q. I think it would be more than a nuisance,

13 would it, Mr. Haynes?

14 A. It would be, you know, outages and -

15 Q. Speaking as one of those customers.

16 A. Trying to be--there would be outages and maybe

17 some--we would not be able to meet peak load

18 very well or reliably because, you know, we

19 plan the system, as I mentioned on this, a

20 loss of load expectation. So all these things

21 are a part of our portfolio. We have assumed

22 failure rates and so on which all go into the

23 -or availability rates, they all go into the

24 calculation of our ability to meet the load.

25 And if we were to pull 175 megawatts out of

Page 132

1 Q. Mine is going to be brief but it's probably

2 just as well.

3 CHAIRMAN:

4 Q. I think so. Even if it will be brief, I think

5 we'll wait until after lunch. So we'll--just

6 an hour break and reconvene at 1:30. Thank

7 you.

8 (BREAK - 12:23 p.m.)

9 (RESUME - 1:35 p.m.)

10 CHAIRMAN:

11 Q. I think, Mr. Hayes, when we adjourned, you had

12 one question, I think you indicated you had?

13 MR. KENNEDY:

14 Q. Chair, if I could just jump in for just a

15 second. There was two pieces of information

16 we just needed to enter in on the record.

17 CHAIRMAN:

18 Q. Very good.

19 MR. KENNEDY:

20 Q. And one is the power point presentation that

21 Mr. Haynes was using in his direct testimony

22 earlier today. And this needs to be entered

23 in as an exhibit and it would be Exhibit JH

24 No. 1.

Page 133

1 CHAIRMAN:
 2 Q. JH 1?
 3 MR. KENNEDY:
 4 Q. Yes, correct JH No. 1. And the second item,
 5 Chair, is a letter from Grant Thornton, the
 6 Board's financial advisors. It is
 7 confirmation of them conducting a review of
 8 the calculations involved in the determination
 9 of Hydro's rate base. And the letter is self-
 10 explanatory. Copies have been distributed to
 11 all counsel for the parties. And that would
 12 be entered as Information No. 1, Chair.
 13 CHAIRMAN:
 14 Q. Thank you, Mr. Kennedy.
 15 MR. KENNEDY:
 16 Q. Thank you. That's all I have, Chair. I
 17 believe Ms. Greene has a document to enter as
 18 well.
 19 GREENE, Q.C.:
 20 Q. Yes, Mr. Chair, I do. This morning Mr.
 21 Hutchings asked for the reconciliation between
 22 the cost benefit analysis for the Roddickton
 23 mini hydro plant and the Snook's Arm plant.
 24 And we have the actual formula here for the
 25 calculation with the explanation of the

Page 135

1 are written, so there won't be a piece of
 2 paper for each undertaking, but this is
 3 actually the eighth undertaking.
 4 CHAIRMAN:
 5 Q. It's going to be Hydro 8, is it? Mr.
 6 Hutchings, did you have any follow-up question
 7 arising out of this particular filing?
 8 HUTCHINGS, Q.C.:
 9 Q. I'll have to take some time to look at that,
 10 Mr. Chair, and we'll let you know then.
 11 CHAIRMAN:
 12 Q. Right. Mr. Hayes?
 13 MR. HAYES:
 14 Q. Thank you, Mr. Chair. Good afternoon, Mr.
 15 Haynes. Mr. O'Rielly, perhaps I could ask if
 16 you'd bring request for information NP-01 NLH
 17 on the screen? Mr. Haynes, Newfoundland
 18 Power's question, this refers to the Snook's
 19 Arm project, the replacement of the penstock.
 20 And Newfoundland Power's question in NP-01
 21 asks for the levelized cost of production at
 22 the plant. And you've provided an estimated
 23 levelized cost of six cents per kilowatt
 24 hour. We also asked that you include in your
 25 analysis any material costs associated with

Page 134

1 difference which relates to the difference in
 2 the size capacity of the two and the capacity
 3 factor for each of those. So this is the
 4 formula for each of them. And Mr. Haynes is
 5 prepared to answer any questions if there are
 6 additional questions arising after this
 7 document is filed.
 8 CHAIRMAN:
 9 Q. Thank you.
 10 GREENE, Q.C.:
 11 Q. We've titled it as a response to an
 12 undertaking.
 13 CHAIRMAN:
 14 Q. I take it that was No. 7 then if it was formed
 15 in that fashion, is it, or 8, is it?
 16 GREENE, Q.C.:
 17 Q. It would be No. 8.
 18 CHAIRMAN:
 19 Q. No. 8.
 20 GREENE, Q.C.:
 21 Q. There was 7 from yesterday.
 22 CHAIRMAN:
 23 Q. Right.
 24 GREENE, Q.C.:
 25 Q. And some of them are verbal and some of them

Page 136

1 the refurbishment or replacement of facilities
 2 or structures over the next 10 to 15 years.
 3 Hydro's response didn't provide any detail on
 4 the timing of future expenditures of capital
 5 expenditure other than the proposed penstock
 6 replacement?
 7 A. No, we did not.
 8 Q. And the only other expenditure specifically
 9 mentioned in the response are runner
 10 maintenance costs and O & M costs, presumably
 11 those are the only other costs that would have
 12 figured in your calculation of six cents per
 13 kilowatt hour, is that correct?
 14 A. That's correct.
 15 Q. So is it then Hydro's engineering judgment
 16 that there are no other significant capital
 17 expenditures on the Snook's Arm plant foreseen
 18 in your study period?
 19 A. We don't have any capital costs in the
 20 foreseeable future for the Snook's Arm plant.
 21 The question was asked and basically the
 22 equipment is in pretty good condition even
 23 though it's old, parts are still available for
 24 most components.
 25 Q. Thank you. Those are all my questions on the

Page 137

1 MR. HAYES:
 2 production projects, Mr. Chair.
 3 CHAIRMAN:
 4 Q. Thank you, Mr. Hayes. Mr. Hutchings?
 5 HUTCHINGS, Q.C.:
 6 Q. Mr. Coxworthy will be proceeding firstly with
 7 this witness.
 8 MR. COXWORTHY:
 9 Q. Thank you, Mr. Chair. Mr. Chair, if we could
 10 start with project B-5, the slope stability at
 11 Upper Salmon power canal? Good afternoon, Mr.
 12 Haynes. The project description for this had
 13 indicated in the last paragraph on B-5 that
 14 the Acres International report engineering
 15 study had been expected to be completed by
 16 late August of 2004. Has it been completed?
 17 A. No, it has not.
 18 Q. This is part of, I think you mentioned this
 19 morning, you're still in the process of
 20 defining the solution?
 21 A. Yes.
 22 Q. Is there an expected receipt date now for that
 23 report?
 24 A. We're expecting it, well, we'll certainly have
 25 it before the year end, but we expect it in

Page 139

1 years which has basically initiated action on
 2 our part to settle this issue, to solve the
 3 problem, I should say.
 4 Q. Has the Dyke Board either proposed or
 5 suggested what the solution might be let alone
 6 an estimate of the costs for that?
 7 A. One of the solutions or the solution proposed
 8 by the Dyke Board is contained in the
 9 justification for B-7, and that obviously is
 10 being considered by Acres and Hydro and the
 11 Dyke Board from the point of view of what the
 12 appropriate design solution is.
 13 Q. And the second part of the question that's
 14 been--have there been any estimate, even
 15 preliminary estimate by the Dyke Board of
 16 costs for that?
 17 A. The Dyke Board typically would not provide
 18 estimates. They provide technical guidance to
 19 Hydro, they raise concerns about different
 20 things that we're doing with respect to our
 21 dykes and basically the estimates are Hydro's
 22 estimates at this point in time. The report
 23 that will be completed by Acres will include
 24 more definitive number estimates and
 25 construction techniques for this job.

Page 138

1 November at the latest.
 2 Q. Had it been anticipated originally that that
 3 report would have been available for
 4 presentation to the Board for part of these
 5 filings for the approval of the second phase
 6 of the project?
 7 A. It would have been--we did anticipate when we
 8 wrote the budget proposal B-5 it would have
 9 been available. There's a fair bit of
 10 discussion on the go. You know, there's a
 11 fair bit of geotechnical evaluation involved
 12 and it took longer than expected.
 13 Q. What evidence is there before the Board to
 14 support the approval of the one million dollar
 15 expenditure in 2005 even as a preliminary
 16 estimate?
 17 A. I guess well, the evidence before the Board
 18 basically is contained in pages B-5 to B-8,
 19 which basically summarize the discussions and
 20 the concerns the Dyke Board, which are a group
 21 of experts in dyke and hydraulic plant design,
 22 and they've expressed concern on, I believe,
 23 on 14 different occasions over the last number
 24 of years with respect to the slope stability
 25 and increasing concern the last couple of

Page 140

1 Q. Has there been any Acres input into that
 2 million dollar estimate?
 3 A. No, there has not.
 4 Q. If we could turn then to the response to RFI
 5 IC-50, which is the Agra Monenco 1999 report
 6 that is referred to by the Dyke Board in the
 7 project justification excerpt that you were
 8 just referring to? And if we could turn
 9 within that document to page 2? Sorry, if we
 10 could start with page 1?
 11 MR. ALTEEN:
 12 Q. I don't believe it's available in electronic.
 13 MR. COXWORTHY:
 14 Q. Okay. The document, I'm not sure if it's been
 15 made available to the Board in hard copy, but
 16 it is a report that is attached as part of the
 17 response to IC-50. In the first part of the
 18 report there's a table of contents, a first
 19 page introduction and methodology. And then
 20 moving on to the second page under the
 21 "Results and Discussion" area. Do you have
 22 that before you, Mr. Haynes?
 23 A. Yes, I do.
 24 Q. Looking at the last paragraph of that Results
 25 and Discussion section indicates, "These

Page 141

1 MR. COXWORTHY:
 2 results indicate that for the assumed
 3 conditions and geometry the lower slope of the
 4 left side of the canal may be prone to shallow
 5 failure as the ground water table approaches
 6 the surface. During the normal operations it
 7 is estimated that on average 70 percent of the
 8 slope is submerged. Similarly for the assumed
 9 conditions in geometry a larger failure
 10 involving an upper slope of the left-sided
 11 canal appears unlikely unless the ground water
 12 table approaches the surface." And then it
 13 goes on to say, "The piezometric data
 14 collected to date suggests that the ground
 15 water levels up the slope of the left dyke
 16 remain below the surface." Although, at that
 17 time anyway there was only one piezometer in
 18 the area. Has there been any subsequent
 19 evidence gathered since 1999 or whenever this
 20 data that supports this report was gathered
 21 that would refute the assessment of Agra
 22 Monenco that a larger failure involving the
 23 upper slope is unlikely and continues to be
 24 unlikely?
 25 A. There have been additional piezometers

Page 143

1 Q. There's a reference in that paragraph I just
 2 read from the Agra Monenco report to what they
 3 call shallow failure. And they identify at
 4 least in '99 that is perhaps a more likely
 5 risk at that time than was the failure of the
 6 upper slope, and this would be shallow
 7 failure, as I understand it, in the lower
 8 slope. Are you able to give us some sense of
 9 the consequences of a shallow failure in the
 10 lower slope and how that ought to be weighed
 11 as a relative risk as opposed to what appears
 12 to be the less likely failure of the upper
 13 slope?
 14 A. I'm not exactly sure the distinction between a
 15 shallow failure. I'd have to go back to the
 16 expressions of concern expressed by the Dyke
 17 Board, who have been quite adamant that we
 18 need to act on this particular dyke to ensure
 19 that it remains useable and safe to operate.
 20 Their concerns are with any failure of the
 21 dyke because they can cascade very easily to
 22 other--to the north side or impair the
 23 operation of the power canal itself.
 24 Q. Just ending off the questioning then with
 25 respect to that "Results and Discussion"

Page 142

1 installed at the site and there have been, I
 2 don't think I can refer to here, there have
 3 been water levels actually above the level of
 4 the canal levels recorded in that particular
 5 area. The other thing that we should remember
 6 is that the dyke's concern is that any change
 7 in the sloping of the dyke will undermine the
 8 core material in the dyke and may cause a
 9 rupture or failure of the north side, which
 10 would be catastrophic from the point of view
 11 of the plant.
 12 Q. The type of catastrophic failure that you had
 13 described indeed in your presentation where
 14 you might have a large amount of material
 15 actually enter into the canal and perhaps even
 16 undermine the other side of the canal,
 17 wouldn't that be a failure that would involve
 18 failure of the upper slope as well as the
 19 lower slope?
 20 A. Possibly. But any failure, even on the lower
 21 slope, would actually expose the core material
 22 of the dyke, which would be basically a muck
 23 at that time, would wash away when the dyke--
 24 when the canal is in operation and possibly
 25 erode or cascade to the other side.

Page 144

1 section and that particular paragraph which I
 2 read in. Is there any reason to think the
 3 situation has changed since 1999 from what is
 4 described in that third paragraph under
 5 "Results and Discussion"?
 6 A. I guess in the opinion of the Dyke Board in
 7 what we've put in the actual justification,
 8 they are very concerned. I should add that in
 9 the report, the review that's being done now
 10 the total failure mechanics and cost to
 11 remediate is being reviewed by the Dyke Board
 12 and by--well, by Acres initially.
 13 Q. Has the Dyke Board relied on any information
 14 or opinion apart from the Agra Monenco report,
 15 the 1991--1999, I'm sorry, report that we're
 16 referring to here?
 17 A. I should--the Dyke Board itself is comprised
 18 of four technical people who are involved in
 19 dyke and dam hydraulic structure construction
 20 for many number of years with many years of
 21 experience. They visit, I will not say that
 22 the visit Upper Salmon power canal each and
 23 every year, but I would suggest that they've
 24 visited usually, occasional we get weathered
 25 out because of wind or rain or whatever. But

Page 145

1 MR. HAYNES:
 2 they have visited the site on numerous
 3 occasions, 14 times in the last, I don't
 4 recall the number of years, but they have
 5 mentioned the concerns with the stability of
 6 this particular slope. Last year they
 7 elevated to a much higher level of concern and
 8 we respect their concern and that's why we've
 9 undertaken this particular proposal.
 10 Q. Moving on them in the 1999 Agra Monenco report
 11 under the "Recommendation" section which is at
 12 the bottom of page 2. It's the same page from
 13 which I just read the passage under "Results
 14 and Discussion". There are a number of
 15 recommendation that were made by Agra Monenco
 16 there which continue on into the next page
 17 which appear to be primarily for the purposes
 18 of gathering additional data, presumably that
 19 would be useful then in deciding what sort of
 20 solution should be affected. Have all of
 21 those recommendations been followed?
 22 A. The additional piezometers have been
 23 installed. I cannot specifically say 100
 24 percent, but I would suggest that most of
 25 these have been undertaken. And the Dyke

Page 147

1 have prepared with respect to the Upper
 2 Salmon?
 3 A. The Dyke Board prepare a report on basically
 4 all our dykes and dams more or less on an
 5 annual basis for all the major dykes and dams,
 6 and this is an excerpt with respect to this
 7 specific problem.
 8 Q. And it is the whole of the excerpt with
 9 respect to Upper Salmon from the most recent
 10 report from the Dyke Board?
 11 A. I cannot say that, I have not reviewed that
 12 report since last fall, but I would suggest
 13 it's most of the essential justification for
 14 the work.
 15 Q. So my question is, is there the possibility
 16 that there is some section of the Dyke Board
 17 report which would make reference to data
 18 that's been collected since the Agra report of
 19 '99 that we haven't been provided with here?
 20 A. It's possible, but I don't think so.
 21 Q. The data that has been gathered since 1999
 22 pursuant to these Agra recommendations, would
 23 that information--is that part of the
 24 information that would be being considered by
 25 Acres in preparing their engineering study?

Page 146

1 Board, usually these things are written up by
 2 the Dyke Board and they review these on an
 3 annual basis to look at the changes in the
 4 slope. And as the slides indicated this
 5 morning, there is some shift in the cracking
 6 that you saw on the top side of the particular
 7 dyke.
 8 Q. You said this data would have been provided
 9 directly to the Dyke Board?
 10 A. The Dyke Board review all the information with
 11 respect to the operation of our dykes and
 12 dams.
 13 Q. Is there any reference to their having, and I
 14 don't know if it's in the excerpt you
 15 provided, if it is, perhaps you could point it
 16 out to us, but is there any reference in the
 17 dyke report to their analysis of this
 18 additional data, data that's additional to
 19 what Agra Monenco had the opportunity to look
 20 at in '99?
 21 A. It's not in the justification, but they make
 22 an annual visit to our dykes and dams, so it
 23 would have been done.
 24 Q. The justification, is that just an excerpt
 25 from a larger report that the Dyke Board would

Page 148

1 A. Yes, it would. Any information that's
 2 available on the dykes would be made available
 3 to Acres who are reviewing the particular
 4 repair means.
 5 Q. Thank you, Mr. Haynes. Mr. Chair, if we could
 6 move on now to project B-9, which is the
 7 replacement of the underground fuel tanks at
 8 Upper Salmon generating facility? And there
 9 is a response to an RFI, IC-2. Perhaps if
 10 that could be brought up? And the question
 11 was, "Do the existing regulations require
 12 replacement of these tanks in 2005?" And the
 13 response was that the existing regulations do
 14 require the tanks to be complaint with the
 15 regulations. And Hydro does not have a
 16 certificate of approval for the current tanks.
 17 The lack of a certificate of approval at this
 18 time, is that because the tanks are non-
 19 compliant with the regulations in a way that
 20 can only be addressed by way of complete
 21 replacement as is being proposed?
 22 A. Complete replacement is the most expedient way
 23 to fix--to attain approval of these particular
 24 tanks.
 25 Q. When you say expedient, that means that would

Page 149

1 MR. COXWORTHY:
 2 be fastest to achieve that compliance?
 3 A. No. It's the most cost effective way. The
 4 existing tanks are buried. We have to go and
 5 excavate it. There's a high level of risk
 6 with a leak from the point of view of the 21
 7 year old tanks that are there. And a
 8 significant portion of the cost to actually
 9 reinstall underground tanks is obviously
 10 backfilling and the care and caution that has
 11 to be taken with sand, etcetera. So, above
 12 ground tanks have been our, have been our
 13 standard for replacing all underground tanks,
 14 essentially.
 15 Q. So it would be possible, perhaps not
 16 expedient, but possible to bring yourself into
 17 compliance with the regulations without
 18 performing a complete replacement of these
 19 tanks?
 20 A. Not in our opinion.
 21 Q. Has there been consideration given of the
 22 alternatives?
 23 A. This was reviewed by the engineering
 24 department when they go down through and
 25 looked at the options for remediating the

Page 151

1 and to get our, you know, to get these things
 2 registered. The reconciliation, you know, you
 3 could put meters on there and actually do some
 4 of that there, but still, it would not have
 5 addressed the single walled underground tank.
 6 So, when you go in and do these projects, we
 7 would like to go in and basically fix the
 8 whole. We will not get an approval unless we
 9 do it all.
 10 Q. Would it be fair to say then that it is really
 11 the no secondary containment issue which is
 12 really the driving force to going to
 13 replacement as opposed to some less
 14 comprehensive means of dealing with this?
 15 A. No, I think there are two major things there.
 16 One is the leak, second leak containment. The
 17 other issue is the reconciliation. Under the
 18 GAP regulations we do have to reconcile fuel
 19 usage, which basically is a calculation or a
 20 dipping of the tank and so on. Most of these
 21 sites, in fact, all of these sites are
 22 essentially unmanned for most of the time.
 23 And, you know, if you go in and do a daily
 24 dipping, then you may not need to do a
 25 reconciliation the same way. It depends on

Page 150

1 particular situation. And the underground
 2 tanks, in their view, in their engineering
 3 opinion, the most cost effective and practical
 4 thing to do is just to dig up the tanks and
 5 replace them, they are 20 plus years old, with
 6 an above ground tank that has secondary
 7 containment and as well bring it into
 8 compliance for the metering and reconciliation
 9 purposes.
 10 Q. Going back then to the project justification
 11 itself at page B-9. The project justification
 12 raises three specific issues, as I read it,
 13 with respect to non-compliance of the
 14 regulations. You've mentioned, I believe, at
 15 least two of them, the no secondary
 16 containment and the lack of leak detection
 17 measures. And a third one is given that
 18 there's no means of quantifying fuel use for
 19 reconciliation purposes. Could something less
 20 than complete replacement address any one of
 21 those three?
 22 A. It would not be, in our opinion it would not
 23 be cost effective to go in and cherry pick
 24 certain things. We have to have all these
 25 things to be compliant with the legislation

Page 152

1 what you have. But we don't have people there
 2 all the time. So this is the logical way to
 3 do this.
 4 Q. And if you could expand on why replacement
 5 will make it easier to quantify fuel use for
 6 reconciliation purposes as opposed to some
 7 other means of trying, attempting to do that?
 8 A. This particular project is, I'll say
 9 comprehensive in the sense that it will
 10 replace the tanks, it will look after
 11 secondary containment, it will install the
 12 appropriate meters and equipment to actually
 13 monitor fuel usage so we can do proper
 14 reconciliation to fuel usage, which is a
 15 calculation done essentially to determine
 16 whether you have a leak.
 17 Q. These tanks have been non-compliant with the
 18 regulations. How long has that been the case?
 19 A. I'm not--I think they're--I can't quote when
 20 the regulations, when the GAP regulations came
 21 in. I believe, I stand to be corrected, it
 22 was 1992, and certainly since then it would
 23 have been non-compliant.
 24 Q. So you would not have had a certificate of
 25 approval for these tanks since 1992, not a

Page 153

1 MR. COXWORTHY:
 2 current one?
 3 A. That's correct.
 4 Q. In the "Operating Experience" section, Mr.
 5 Haynes, for this project, it's identified that
 6 one of the tanks, the west Salmon tank is a
 7 1987 tank, the other two are '82 structures or
 8 installations. Could it be said that there is
 9 greater urgency to a replacement to the '82
 10 tanks as opposed to the '87 given the
 11 difference in the age of those installations?
 12 (2:00 p.m.)
 13 A. Not in our opinion. What we are striving to
 14 do is to be compliant with the current
 15 legislation and to be compliant with the
 16 legislation we need to attend to all these
 17 tanks.
 18 Q. They're all equivalently--they're all non-
 19 compliant to the same extent?
 20 A. Yes.
 21 Q. Thank you, Mr. Haynes. If we could move on
 22 then to project B-11, Mr. Chair, which is the
 23 upgrade controls spherical value No. 6 at Bay
 24 D'Espoir? And if we could bring up the
 25 response to RFI IC-4, which was a costing of

Page 155

1 2003 or during that process we would have had
 2 three of the four identical units done and we
 3 purchased the spares at that particular time.
 4 Q. And the spares though were for what purpose,
 5 spares for which, for all six of the units?
 6 A. Oh, yes. No, for--well, for the three that
 7 had been replaced to date. In 2003 there were
 8 only three replaced.
 9 Q. Okay. So the spares would have been spares
 10 for the new upgraded versions as opposed to
 11 spares for the remaining old valves?
 12 A. That's correct.
 13 Q. There are two valves that remain to be
 14 upgraded, and I think the plan is to upgrade
 15 both of them, is that correct, Mr. Haynes?
 16 A. We plan to upgrade one in 2005 and the other
 17 we are proposing eventually we'll see next
 18 year for 2006.
 19 Q. Would it be more cost effective to upgrade
 20 both valves in one year, would there be
 21 saving, for instance, in labour mobilization
 22 costs or in other costs in doing two valves in
 23 one year?
 24 A. In this particular case we don't think so. We
 25 also look at the availability of the machines

Page 154

1 the four previous replacements for other
 2 spherical valves at Bay D'Espoir. And there's
 3 been a fairly wide range over a fairly short
 4 period of time, both in the budgeted amounts
 5 and in the actual expenditures, Mr. Haynes.
 6 Can you give us some perspective on why that's
 7 been the case?
 8 A. The variation specifically I think I recall in
 9 2003 we actually purchased some spares for
 10 these particular new valves. The other
 11 variations are basically depending on the
 12 timing, the degree of difficulty getting any
 13 equipment out or if there was some setback or
 14 some particular issue in, you know, with
 15 respect to the condition of the equipment as
 16 found. But the big and only, you know, the
 17 primarily, I guess, in 2003, I believe we
 18 actually purchased additional some spare parts
 19 to ensure that we can maintain the other
 20 systems.
 21 Q. So the spares in 2003 weren't purchased for
 22 Unit No. 1, they were purchased with respect
 23 to the other two, I guess at that time three
 24 valves that had not yet been upgraded?
 25 A. The spares were purchased in--at the end of

Page 156

1 for services, so, you know, it would be an
 2 extended outage on unavailability of the
 3 equipment. This work is, the materials are
 4 required, which is fairly straightforward, but
 5 the labour is actually internal labour, so
 6 there's no, there's no quote, unquote,
 7 "significant" mobilization, demobilization of
 8 contractors. It's at Bay D'Espoir where our
 9 crews are, the home base, if you will, of the
 10 crews.
 11 Q. If we could turn then back to page B-11 and
 12 the "Operating Experience"? And in the
 13 "Operating Experience" it's stated that this
 14 generating unit, the generating unit in
 15 respect of this particular spherical valve, I
 16 would understand, operates 5500 hours in a
 17 year. There are, I believe, 8760 hours in a
 18 year, approximately. So you're talking about
 19 approximately 60 percent of the time in any
 20 given year the generating unit is in
 21 operation. Further to your evidence in last
 22 year's budget hearing for the 2000 budget in
 23 respect of the upgrade at that time of
 24 spherical valve No. 3 you indicated that this
 25 reflected the 5500 hour figure. That's still

Page 157

1 MR. COXWORTHY:
 2 reflected that you could have stopping and
 3 starting of the unit as much as two or three
 4 times in a day and also this would reflect
 5 there would be greater use generally in
 6 wintertime than there would be in summertime.
 7 Is that--does that remain the case?
 8 A. That remains the case. When the unit's
 9 available for operation, it does not mean that
 10 it's actually generating, so you're correct.
 11 Q. Are all six of these spherical valves, and I
 12 believe they're all in respect of powerhouse
 13 No. 1, is that correct?
 14 A. They're in powerhouse No. 1, yes.
 15 Q. Are they ever simultaneously in operation, all
 16 six?
 17 A. Yes. Often.
 18 Q. Often?
 19 A. Particularly in the winter or even in the
 20 summer if the--well, not necessarily in the
 21 summer, but in the shoulder (phonetic) months
 22 of the spring and fall when the system load is
 23 down or Holyrood may be shut down, they would
 24 be sometime during the day all six units would
 25 be often running.

Page 159

1 Q. Going on then to look at what's stated to be
 2 the advantages of going with the full
 3 replacement which is the continuation there on
 4 page 17. And there are five advantages to
 5 full replacement identified there.
 6 Substantial reduction in potential liability
 7 to Hydro for potential failure or rupture of
 8 the wood stave penstock. Would one also
 9 achieve a substantial reduction of potential
 10 liability by way of phased replacement?
 11 A. Not to the same degree.
 12 Q. But you would achieve a substantial reduction?
 13 A. There would be a substantial reduction in the
 14 lower part and a reduction in the upper part,
 15 but they are not equal.
 16 Q. Would phased replacement increase the
 17 liability of the penstock?
 18 A. No, it would--not as reliable as a full scale
 19 replacement.
 20 Q. But increase it over what it is today?
 21 A. Yes.
 22 Q. Would phased decrease the energy losses such
 23 as water loss from wood stave penstock and
 24 head loss friction.
 25 A. From the lower section, there would be a

Page 158

1 Q. So, from an economic analysis point of view,
 2 and it's already been identified that phased
 3 replacement is the greatest net positive
 4 result, how are items 3 and 4 disadvantages,
 5 if they've been included within the costing
 6 and within the economic analysis and even with
 7 their inclusion, you still come up with a net
 8 positive result in relation to the phased
 9 replacement. How are 3 and 4 disadvantages to
 10 phased replacement?
 11 A. Additional work that would be undertaken to do
 12 the phased replacement. The costs are
 13 included in that particular exercise as they
 14 should be. At the end of the day, the net
 15 present value or difference between the two is
 16 less than ten thousand dollars. In our view,
 17 the right thing to do is to go in and do the
 18 job right from the beginning which is to
 19 replace the whole of the penstock. Ten
 20 thousand dollars, net present value on six
 21 hundred thousand dollars is fairly
 22 insignificant. However, in a theoretical
 23 point of view, you're right, it is the lowest
 24 cumulative present worth as we presented in
 25 the report.

Page 160

1 decrease in water loss; from the upper
 2 section, probably minimal.
 3 Q. Has there been any quantification of that
 4 given that the lower part is high pressures?
 5 Is there more water loss from the lower as
 6 opposed to the upper or do we know that?
 7 A. Likely, yes, but I have not--that would make
 8 logical sense, but I -
 9 Q. Make sense if there's more water loss from the
 10 lower portion?
 11 A. It's the same condition and higher pressure,
 12 yes.
 13 Q. That would be the part that would be replaced
 14 first under phased replacement?
 15 A. Yes.
 16 Q. Use of a renewable resource. Well, that's
 17 occurring whether it's phased replacement or
 18 full replacement, wouldn't you agree?
 19 A. Well, yes, however if you phased replacement,
 20 you'll have two extended outages versus one
 21 and so on. So, I would suspect that there
 22 would be some increase in the non utilization
 23 of water by phased replacement.
 24 Q. When you said, in terms of the time period to
 25 complete all of the work -

Page 161

1 MR. HAYNES:
 2 A. To complete the work, yes.
 3 Q. - the time that the system is down and not
 4 contributing capacity to -
 5 A. That's correct.
 6 Q. How much difference do you think we're talking
 7 about between full and phased replacement in
 8 terms of down time for that plant?
 9 A. I can't quantify that, I don't know off hand.
 10 Q. Is it days?
 11 A. I would suggest it's weeks, if not a--at least
 12 weeks, possibly a month or two, but I -
 13 Q. And that's over this whole period of getting
 14 to replacement.
 15 A. Yes.
 16 Q. Which would be over, to the second phase would
 17 be completed in 2011, is that correct?
 18 A. I think 2016 was what was used in the
 19 analysis.
 20 Q. 2016, I'm sorry. So, you're talking about a
 21 loss of weeks by phased replacement over that
 22 period between 2005 and 2016 -
 23 A. I'd suspect, yes.
 24 Q. - as being the loss of use.
 25 A. Yes.

Page 163

1 equipment in it and we're quite comfortable
 2 that we can maintain that for long term. And
 3 if it's economically viable, and we think it
 4 will be, we should continue. It is a half a
 5 megawatt, 590 kilowatts, it does contribute
 6 three and a half million kilowatt hours which
 7 is basically almost 56 hundred barrels of oil
 8 a year. So, we see no reason why in the
 9 ongoing emission, you know, the emission
 10 credits or cost in the future would not be
 11 economic.
 12 Q. So, your best judgment would be that it's
 13 likely that this Snook's Arm plant will still
 14 be in operation in 2036?
 15 A. There are many hydro plants in the world a
 16 hundred years old that are still in operation,
 17 so yes.
 18 Q. If I could ask you to please turn to the
 19 response to Newfoundland Power's RFI NP-1.
 20 These are referred to by Mr. Haynes in some
 21 early questioning with respect to the
 22 levelized incremental costs. And the
 23 levelized incremental cost of replacement
 24 where, at 5, 6 cents per kilowatt hour. And
 25 this is full replacement, is that correct, is

Page 162

1 Q. And a design life in excess of 30 years from
 2 the new penstock, you will have that with
 3 respect to phased replacement as well, won't
 4 you, once the phased replacement is completed.
 5 Is that correct?
 6 A. Yes, the upper penstock will be 60 years old
 7 when it's replaced which is an exceptionally
 8 long time for a wood stave penstock.
 9 Q. But you will have--I believe the disadvantage
 10 is being stated as an advantage of what you
 11 have when you're completed is a new penstock
 12 that would last you for another 30 years, is
 13 that correct?
 14 A. And hopefully trouble free, yes.
 15 Q. And you would have that advantage, I should
 16 say, whether you went with phased replacement?
 17 A. After 2016, yes.
 18 Q. Has there been any consideration given to 30
 19 years out even from 2006, whether, in fact,
 20 this is likely that this particular plant
 21 which has already been identified as
 22 relatively low capacity plant, is likely to
 23 still be in use?
 24 (2:45 p.m.)
 25 A. We have looked at that particular plant, the

Page 164

1 that what that figure applies to?
 2 A. Yes, that's correct.
 3 Q. As opposed to 7.6 cents for a retirement of
 4 plant scenario. Do we know what the levelized
 5 incremental costs would be with respect to a
 6 phased replacement?
 7 A. We didn't calculate that number, but it would
 8 be only marginally higher than 6 cents a
 9 kilowatt hour.
 10 Q. So, it would be higher than the six, do we
 11 know that?
 12 A. Yes, but very, very small amount.
 13 Q. So, not an amount that would be relevant in
 14 determining the economic advantage to one over
 15 the other option?
 16 A. It would never approach 7.6 cents.
 17 Q. If I could refer you now, Mr. Haynes, to IC-
 18 54, the response to RFI IC-54 and it was
 19 confirmed by that response that the only
 20 estimate of cost that provided was with
 21 respect to replacement by steel penstock, even
 22 though the Hydro report identifies that there
 23 are other options that could and presumably
 24 perhaps should be looked at which are
 25 fiberglass or high density plastic products.

Page 165

1 MR. COXWORTHY:
 2 Why did Hydro choose to only estimate, at
 3 least at this stage, only replacement by
 4 steel?
 5 A. The engineering section, the generation
 6 engineering division looked at that, they
 7 reviewed those things and they think, subject
 8 obviously to further studying refinement, that
 9 that would be the conclusion at the end of the
 10 day. It will be reviewed during the design
 11 review and we will do what's most cost
 12 effective.
 13 Q. Are you aware of any developments in terms of
 14 international markets for steel and the
 15 effects on steel costs on whether it's likely
 16 that the cost of steel penstock will be higher
 17 than your initial estimate?
 18 A. We know that there is some upheaval in the
 19 market in steel. However, when we do the
 20 evaluation, we will use the most current
 21 numbers available and those numbers move
 22 around.
 23 Q. Do you know when, as of what date, that
 24 estimate in terms of steel cost is based on
 25 for steel?

Page 167

1 because of other considerations we didn't
 2 quantify, that the difference in cost would
 3 have to be very, very small to actually go to
 4 a more expensive option.
 5 Q. So, there would be a very strong bias for its
 6 going towards the low cost option. There's
 7 nothing about steel in terms of, for instance,
 8 familiarity on the part of Hydro with
 9 structures that use that material that might -
 10 A. No, that would be thrust from management's
 11 perspective, our objective is to go with the
 12 least cost, least reasonable cost to do this
 13 work.
 14 Q. Mr. Haynes, can you comment on why a
 15 replacement of the penstock might not be done
 16 with the material that is being used presented
 17 with the wood replacement?
 18 A. I don't think that we ruled that out. I mean,
 19 Canbar is still in existence. We have not
 20 ruled out any specific material.
 21 Q. So, wood is in consideration. Do you know
 22 whether it's under active consideration? Will
 23 there be an estimate prepared as with
 24 fibreglass and plastic for wood replacement?
 25 A. I'm nor sure if it's under active

Page 166

1 A. That would have been done during, prior to
 2 budget submissions, that report was dated
 3 January of this year.
 4 Q. January 2004?
 5 A. Yes.
 6 Q. So, that would reflect January 2004 prices at
 7 the most recent -
 8 A. That would reflect the current engineering
 9 prices that they're using for steel, yes.
 10 Q. Do you have any sense yourself as to whether
 11 the fibreglass or high density plastic product
 12 options would be less or more expensive than
 13 steel? Do you have any information about
 14 that?
 15 A. No, I don't, but that will be reviewed prior
 16 to final design criteria being selected for
 17 this plant.
 18 Q. Does Hydro perceive that there's any
 19 advantages to steel, that even if steel were
 20 to prove to be the high cost option from those
 21 three, that Hydro might still choose to go
 22 with steel?
 23 A. I would say that if Hydro were to review the
 24 available technologies or the available
 25 materials to do that and steel was preferred

Page 168

1 consideration, but basically we will look at
 2 the penstock replacement and review any
 3 material that's suitable for the job.
 4 Q. Are you aware of any reason why wood would not
 5 be suitable?
 6 A. It's a higher maintenance issue in the long
 7 run because of the problems that we see now
 8 versus steel or poly or whatever.
 9 Q. But there appear to have been some problems
 10 even on the initial installation of this
 11 particular wood penstock. There's some
 12 identification in the reports that the initial
 13 components were damaged even before
 14 installation. So, that may have comprised,
 15 perhaps from the very beginning, the integrity
 16 of the wood structure.
 17 A. Yes, but that particular--that had to do with
 18 the ends, the butts of the wood and there was
 19 a, I think, a steel spline or something put
 20 there to remediate that and I think when you
 21 look at the pictures in the report, many of
 22 the leaks are not actually at the ends,
 23 they're actually in the running lengths. So,
 24 I'm not quite sure if that's a key factor or
 25 not. There was a field fix obviously done for

Page 169

1 MR. HAYNES:
 2 the -
 3 Q. All I'm saying is, based on the past
 4 experience that Hydro has had with this wood
 5 stock, is it necessarily a wood penstock, is
 6 it necessarily a predictor that you would have
 7 the same types of problems with a future
 8 penstock if it was also constructed from wood?
 9 A. We may not, no, that's correct.
 10 Q. Thank you, Mr. Haynes. Chair, if we could
 11 move onto the next project, B-19, the Anti-
 12 Fouling system for the Holyrood mussels, for
 13 the Holyrood plant. And if I could refer to
 14 the response, RFI IC-60. And by that
 15 response, the question was asked as to what
 16 reduction in staff compliment a retirement of
 17 equipment would result from implementation of
 18 this project. And it's identified by that,
 19 that there will not be any savings of that
 20 sort. The only additional savings will be in
 21 respect of a cost of hiring diving and vacuum
 22 truck contractors.
 23 A. Yes, that's correct.
 24 Q. What is that annual cost of hiring diving and
 25 vacuum truck contractors?

Page 171

1 lower generation efficiency and the manual
 2 cleaning and removal of the mussel infestation
 3 for the three units amounts to \$185,000.00.
 4 So, within that figure, does that include the
 5 \$30,000.00 for the diving contractors?
 6 A. Yes, it would.
 7 Q. And the remainder then is Hydro's estimate of
 8 the lower generation, the cost of the lower
 9 generation efficiency caused by the mussel
 10 infestation not being cleared up as quickly as
 11 it might otherwise be.
 12 A. The actual total cost of doing it manually is
 13 approximately about fifty two or fifty three
 14 thousand dollars a year. It's the diving
 15 contractor, the vacuum truck and also our own
 16 internal labour and materials that we use.
 17 So, the operating cost is indicated in IC-59
 18 and our operational costs are pretty well
 19 awash. The significant savings are in the
 20 efficiency improvement which we anticipate to
 21 be--well, depending on the price of oil you
 22 use, of course, in the one hundred and
 23 seventy, hundred and eighty thousand dollars a
 24 year, depending on the price of fuel.
 25 Q. I think that's identified, in fairness to you,

Page 170

1 A. The diving cost for the last two years
 2 averaged approximately \$21,000.00 a year. And
 3 the vacuum truck was basically used to dispose
 4 of, haul away the mussels, etcetera, is
 5 approximately \$9,000.00 a year.
 6 Q. So, \$30,000.00 a year, do that remain
 7 consistent over a period of time or -
 8 A. Oh, we only looked at two years in this
 9 particular exercise, but there's no--it's a
 10 typical number and these contractor services
 11 are pretty well the same, escalating, of
 12 course.
 13 Q. You're not aware of any reason why that would
 14 increase precipitously in coming years if you
 15 were to use the same level of service, the
 16 once a year.
 17 A. The only way it would increase is if we were
 18 to get, you know, more mussel accumulation
 19 which is, you know, depends on the water
 20 temperatures and the use of the plant.
 21 Q. There's identified for this project a
 22 \$185,000.00 a year cost savings and I'm
 23 referring to the project justification in that
 24 regard at page 19. And what it says,
 25 additionally, the yearly cost associated with

Page 172

1 Mr. Haynes, but perhaps the Board should be
 2 referred to this in the response to RFI IC-81.
 3 And this is the production evidence with
 4 respect to which of the capital budget items
 5 will improve efficiency. And there is
 6 reference to the B-19 and to this efficiency
 7 factor being estimated with respect to
 8 improved efficiency and reduction in oil
 9 costs. That estimate in terms of improved
 10 efficiency, how was that arrived at in terms
 11 of how did you determine that this anti-
 12 fouling system would achieve such
 13 efficiencies?
 14 A. That particular numbers, they're average over,
 15 I believe, a four year period. The actual
 16 analysis was done by the plant staff, the
 17 plant engineering and maintenance staff who
 18 actually looked at--they went over the last
 19 two or three years or the last four years, I
 20 believe and looked at the number of times they
 21 had to derate the unit, the number of times
 22 that we could not meet plant output and
 23 assigned a value on a fuel. So, it's an
 24 average of, I believe, it's four years and
 25 they anticipate that by removing the mussels

Page 173

1 MR. HAYNES:
 2 and not having that loss of efficiency that we
 3 would actually improve to that tune.
 4 Q. Has there been any measuring that you have to
 5 reach a certain critical mass of the mussel
 6 infestation within the intakes before it
 7 starts impairing efficiency?
 8 A. I think the biggest factor in actually the
 9 mussel accumulation is the water temperature
 10 if I recall correctly from the studies and the
 11 use of the plant obviously. If we're not
 12 using the plant in summer and the water is not
 13 going through, there likely would not be any
 14 condenser build-up, but basically our history
 15 in the last X number of years that we are
 16 using this plant in the prime whatever season
 17 that these mussels actually start to have
 18 little mussels. I'm sorry, I don't know the
 19 right biological term, but there are times of
 20 the years when they grow a lot and there are
 21 other times when they're fairly dormant
 22 depending on the water temperature and we do
 23 use the plant when they are active, for lack
 24 of a better word.
 25 Q. It's not just any mussels presumably in the

Page 175

1 issue is when they get inside the system, the
 2 cooling water itself get flushed through
 3 hundreds and hundreds of tubes and if they get
 4 big enough, they can't go through the tube,
 5 then basically they block the tube. That's
 6 part of the efficiency by not having them
 7 there in the first place.
 8 Q. If it does cause that degree of impairment in
 9 efficiency and other problems, has Hydro ever
 10 considered having the diving contractors come
 11 in twice a year to clean these out?
 12 (3:00 p.m.)
 13 A. This requires a shut down, this requires to
 14 shut down the plant, that particular unit to
 15 unwater the cooling water intake. It's a
 16 fairly significant amount of work.
 17 Q. How long is that shut down per diving
 18 inspection and cleaning?
 19 A. For this particular work, I'm not quite sure,
 20 I think it's two or three weeks to actually do
 21 that, but I'm--a couple of weeks I would
 22 suggest.
 23 Q. So the plant is down for a couple of weeks?
 24 A. No, the plant is down more than that.
 25 Q. During the clean up operations?

Page 174

1 system or any number of mussels that causes
 2 the problem, but you do have to reach a
 3 certain critical level or mass of mussel
 4 infestation before you have an efficiency
 5 problem?
 6 A. Oh yes, and I think the photograph that came
 7 from the Holyrood plant that we put up this
 8 morning is indicative of the issue itself and
 9 that's all over the cooling system.
 10 Q. But it's not like that 365 days a year, those
 11 pictures you've shown us, is the mussel
 12 infestation at that level -
 13 A. Once they're there, they generally stay there
 14 because they are--unless they migrate, I'm not
 15 sure -
 16 Q. Until you have your one-year annual -
 17 A. And then we go out and shovel it out, if you
 18 will.
 19 Q. How long does it take to build back up again
 20 to the level that we see in this photograph
 21 after they're been removed?
 22 A. I don't think it takes very long because they
 23 start off as small and they grow. Once
 24 they're attached to the walls and the
 25 condenser tube, they stay there. The other

Page 176

1 A. Yes, but there's a lot of other work on the go
 2 at the same time.
 3 Q. Okay, so it's co-ordinated with plant shut
 4 downs for other purposes.
 5 A. Yes, absolutely.
 6 Q. So, the plant hasn't been shut down solely for
 7 the purpose of cleaning the mussels out of
 8 these intake valves.
 9 A. We do run back on load and we have shut down
 10 half the condenser to go in and remediate some
 11 of these problems if it gets acute.
 12 Q. The anti-fouling system that Hydro is choosing
 13 here, has there been any track record,
 14 experience with it, by other utilities that
 15 Hydro is aware of?
 16 A. My understanding is it's quite common in a lot
 17 of areas and much more common in utility
 18 environment that it was, say, 15 years ago.
 19 It is a newer technology, if you will; one
 20 that has been proved successful and other
 21 utilities do use it, but I can't cite the
 22 utilities off hand.
 23 Q. Have you actually contacted any of those other
 24 utilities to see whether, in fact, the anti-
 25 fouling system has proven to be as affective

Page 177

1 MR. COXWORTHY:
 2 as the manual removal of mussels?
 3 A. I believe we did contact other utilities or
 4 other users and our question would not be on
 5 the effectiveness, the question would be, does
 6 it work or can they confirm that this is as
 7 the biologist and so tell us, this is a good
 8 way to remediate the problem. The economics
 9 would be our own situation, our labour costs,
 10 cost of the equipment and so on. That would
 11 be an analysis that we would do.
 12 Q. And the feedback you've gotten then from
 13 contacting other utilities as to whether it
 14 works, have you gotten positive feedback?
 15 A. Yes, it does work.
 16 Q. In similar context to what you're dealing with
 17 here, when I say that, salt water as opposed
 18 to perhaps a plant on the Great Lakes that
 19 might have other types of mussel infestation.
 20 A. I would not have asked that specific question
 21 if it was a tide water plant, but I can't
 22 imagine it would not. I'm sure that they did
 23 actually ask those questions.
 24 Q. The system, the anti-fouling system, uses
 25 chemicals to -

Page 179

1 monies over and above it?
 2 A. Yes, for the cooling water, for the screens or
 3 whatever. There's lots of other work out
 4 there that we use divers for, not lots, but a
 5 fair amount.
 6 Q. And is it anticipated the anti-fouling system
 7 will remove entirely the need for manual
 8 removal of mussels from the -
 9 A. Yes, it is, that's our understanding and if
 10 it's not, it will be very minor.
 11 Q. Thank you, Mr. Haynes.
 12 CHAIRMAN:
 13 Q. I think we'll take a break, Mr. Coxworthy.
 14 MR. COXWORTHY:
 15 Q. Thank you, Mr. Chair.
 16 CHAIRMAN:
 17 Q. We'll take a 15-minute break.
 18 (BREAK - 3:04 P.M.)
 19 (RESUME - 3:42 P.M.)
 20 CHAIRMAN:
 21 Q. Carry on, Mr. Coxworthy.
 22 MR. COXWORTHY:
 23 Q. Thank you, Mr. Chair. If we may move on now
 24 to project B-20, which is the installation of
 25 the fire protection system for the microwave

Page 178

1 A. It actually uses a copper, it's an electrical
 2 chemical reaction that actually basically
 3 creates copper ions and actually injects it
 4 into the cooling water intake and seven to ten
 5 parts per billion, I believe is enough to
 6 mitigate the mussels from growing.
 7 Q. Is it anticipated that this system will remove
 8 entirely the need for manual inspection of
 9 the, by diving contractors, of these intakes?
 10 A. For the purposes of mussels, we do not
 11 anticipate having to go in and get a diver to
 12 go in and do that. We still use divers, we
 13 still have to inspect. So, it would greatly
 14 reduce the amount of time that somebody is in
 15 there cleaning up. We still have to obviously
 16 take it down, walk through and do an
 17 inspection to ensure there's nothing else on
 18 the go.
 19 Q. So, that \$21,000.00 a year expenditure that
 20 you have us before as the diving expenditure
 21 per year, how much of that will actually be
 22 eliminated by the anti-fouling system?
 23 A. That amount of money was specific to this
 24 issue.
 25 Q. So, any additional diving work is additional

Page 180

1 radio room in Holyrood, and Mr. Haynes, if I
 2 could refer you to RFI IC-61, the response.
 3 And the response referred to "to guarantee
 4 this high availability of the
 5 telecommunications network, the majority of
 6 the telecommunications network is owned and
 7 maintained by the company with alternate
 8 routing leased from Aliant Communications."
 9 And my question, Mr. Haynes, is why should we
 10 accept that there is a higher guarantee of
 11 high availability with a Hydro-owned and
 12 maintained system, as opposed to one that's
 13 been obtained through the private sector?
 14 A. The communications system, it's already in
 15 place with respect to the microwave system,
 16 which basically backhauls all our traffic and
 17 so on, and the lease rates from Newfoundland
 18 Telephone are high. They are a common carrier
 19 who are dedicated to providing service to
 20 everybody. We have priority on our own
 21 network obviously, for our telecommunications
 22 needs, our data, energy control centre
 23 communications to the various areas that we
 24 deal with.
 25 Q. The alternate routing that you referred to, is

Page 181

1 MR. COXWORTHY:
 2 that in use regularly, the alternate routing
 3 through Aliant?
 4 A. I think in some low priority areas, there may
 5 be some leased lines from Aliant, but Mr.
 6 Downton could probably confirm that when he's
 7 on the stand.
 8 Q. So the alternate routing isn't in respect of
 9 communications at Holyrood?
 10 A. Not specific for Holyrood, no. Holyrood, I
 11 think, is directly connected to our
 12 communications infrastructure.
 13 Q. You don't presently have an alternate routing
 14 through Aliant for Holyrood?
 15 A. To my understanding, no.
 16 Q. Would that be a potential backup solution to
 17 what the problem is here, which is that if the
 18 sprinkler system was engaged that it could
 19 damage the microwave system? Instead of
 20 dealing with that, could an alternate solution
 21 be to have alternate routing through Aliant?
 22 A. In our opinion, no. There is other equipment
 23 in the particular room besides the microwave
 24 equipment. There's servers. There's a
 25 telephone switch. There's Aid Pro computer

Page 183

1 Q. The Section G, Appendix 3 of the 2004 budget,
 2 page three, and it's in Section 2.3 there, and
 3 I believe that was the estimate in respect of
 4 stack liner #2 being projected at that time.
 5 A. The total liner estimate for the last job that
 6 we had done was estimated--I understand from
 7 what's presented, the 1.2 may have been the
 8 material cost, because in the last job that we
 9 had done, the actual estimate for the complete
 10 job, which include the overheads, escalation,
 11 et cetera, the estimate was \$1.776 million.
 12 That would have been the all-up number, if you
 13 will, and the actual was actually very close
 14 to that.
 15 Q. So the 1.2 that appears at that part of the
 16 report is not the complete figure, even at
 17 that time for the estimate?
 18 A. Based on what's presented there and what we
 19 actually had in the budget, approved budget
 20 last year, that would have been the materials
 21 only, I would understand.
 22 Q. Turning then briefly to stack liner #1, and of
 23 course we've seen the estimate costs that were
 24 estimated for that replacement, and we've
 25 heard the evidence today that, in fact, once

Page 182

1 software, which allows up to optimize the
 2 plant. So it's not solely--it's called the
 3 microwave room, but there's other electronic
 4 equipment inside that particular room that
 5 this system would protect.
 6 Q. Thank you, Mr. Haynes. If we could move on
 7 then to project B-21, which is the Stack liner
 8 for stack #2. And if I may make brief
 9 reference back to the 2004 budget, and I don't
 10 know if we need to bring it up on the screen,
 11 but if it's available, Section G, Appendix 3,
 12 and the replace steel liner option at that
 13 time, identified as a March 2003 estimate, the
 14 cost to replace stack liner #2, the one that's
 15 presently before the Board, the March 2003
 16 estimate at that time was \$1.2 million.
 17 What's now being proposed to the Board for
 18 2005 Capital Budget is, and one would need to
 19 look at RFI IC-9 in the response of this year
 20 to determine this, but the cost for the stack
 21 liner #2 now has gone from 1.2 projected
 22 estimate to 1.85. Can you explain to us the
 23 increase in cost over that period in that
 24 estimate?
 25 A. Can I see the one from the previous?

Page 184

1 that replacement was commenced, the stack
 2 liner was actually in worse condition for #1
 3 than had been thought. What was the final
 4 cost for replacement of stack liner #1?
 5 A. The stack liner was \$1.782 million.
 6 Q. And why is it anticipated that the cost for
 7 stack liner #2 replacement will be higher, the
 8 1.85 million?
 9 A. Well, there would be escalation obviously and
 10 there would be escalation, higher wage rates
 11 and so on. There's no specific single reason
 12 why we have -
 13 Q. It's just attributable to normal or expected
 14 increases in various costs?
 15 A. Material supply, labour contracts, et cetera.
 16 Q. If we could move on then, Mr. Haynes, to
 17 project B-24, which is the installation of the
 18 main fuel lines at Hardwoods.
 19 A. I will--the Hardwoods gas turbines and
 20 Stephenville gas turbines are under TRO, but I
 21 will attempt to answer as best I can.
 22 Q. I apologize. My understanding was, from the
 23 witness breakdown, that you would be answering
 24 in respect of this, but -
 25 A. I'll make every effort to answer the question.

Page 185

1 MR. COXWORTHY:
 2 Q. My question is with respect to the response
 3 that was made to RFI IC-10 in relation to this
 4 project, and the question was whether the
 5 regulations in fact required the valve
 6 replacement in this year, and the response was
 7 that it was not required in 2005, but a
 8 modification was required as a condition of a
 9 Certificate for Approval. Does the
 10 Certificate of Approval, and I recognize of
 11 course that you may not know the answer to
 12 this, given your earlier comment, does the
 13 Certificate of Approval itself specify a time
 14 frame within which this valve must be
 15 replaced?
 16 A. No, it doesn't specify a specific time frame,
 17 but it was a condition of the Certificate
 18 Approval. It should have been done.
 19 Q. But you won't be in violation of the
 20 Certificate of Approval if you don't replace
 21 in 2005, as opposed to 2006? There's nothing
 22 in the Certificate that puts a specific time
 23 frame on that?
 24 A. It's my understanding the Certificate of
 25 Approval requires the valves, so we would be

Page 187

1 recognize, Mr. Haynes, that you may have the
 2 same response if this was intended to be
 3 triggered as a TRO matter or by the previous
 4 panel, but this is B-25, the installation of
 5 the Diesel Generating Set at Stephenville gas
 6 turbine. Are you in a position to respond to
 7 questions in respect of that project?
 8 A. I will certainly have a go at it, but if I
 9 fall short, I'll acknowledge that.
 10 Q. We'll understand why. Thank you, Mr. Haynes.
 11 Do you know whether it's possible to enhance
 12 the reliability of the existing battery system
 13 in Stephenville without incurring the full
 14 cost of a \$95,000 duplicate system? And I
 15 should say I'm making reference, and I
 16 apologize, to RFI IC-12 in that regard.
 17 Because a question was asked as to what would
 18 be the cost of installing a duplicate battery
 19 system in Stephenville, and the response
 20 that's been given by Hydro is that, that would
 21 cost \$95,000. And I guess my question again
 22 is, is there any other way to enhance the
 23 reliability of the existing battery system
 24 without incurring the cost of a duplicate
 25 system and obviously without incurring the

Page 186

1 in -
 2 Q. Let me put it another way. You will be no
 3 more in violation of the Certificate in 2005
 4 than you would be in 2006, if the replacement
 5 is deferred?
 6 A. No, we wouldn't be any more, but we could be
 7 subject to fines or whatever other remedies
 8 that the Department has.
 9 Q. How long as this Certificate of Approval
 10 requirement been outstanding?
 11 A. I do not know that, the year.
 12 Q. Has Hydro been subjected to any fines to date
 13 in respect of -
 14 A. No, but I think it's worthwhile to add that we
 15 have several areas in the fuel regulations
 16 where we are non-compliant and the regulator
 17 is aware that we are mediating all those
 18 things over a period of time and they've been--
 19 they have understanding, I guess, or they
 20 know that we're at this and they have not come
 21 down with the heavy hand from--the heavy hand,
 22 if you will. They know that we are working at
 23 these things and we will be meeting all these
 24 things over a period of time.
 25 Q. The next project I want to discuss, and I

Page 188

1 cost of purchasing this diesel?
 2 A. No, I don't think there is. What this project
 3 is intended to do is to ensure the reliability
 4 and the availability of that particular unit
 5 when we get in trouble in that area. The
 6 intent is to allow black start capability to
 7 provide air to the system, you know, so we can
 8 start the generator.
 9 Q. Stephenville is a gas turbine station. Does
 10 all of Hydro's gas turbine stations have the
 11 same sort of diesel generator backup to the
 12 battery system, all of them other than
 13 Stephenville?
 14 A. I do not know that answer specifically, but I
 15 think--when you look at this sort of system,
 16 you have to look at where it sits in the
 17 system, what the other sources of supply are.
 18 Stephenville is on a radial--you know, it's
 19 not as robust in terms of multi-connections as
 20 say Hardwoods.
 21 Q. And that would be another situation where
 22 there is a gas turbine in operation. Do you
 23 know whether there's diesel backup at
 24 Hardwoods for the battery system?
 25 A. Yes, there is.

Page 189

1 GREENE, Q.C.:

2 Q. If it's helpful for the record, we can confirm

3 that the others do have the backup.

4 MR. COXWORTHY:

5 Q. Thank you. The operating experience example

6 that's given in B-25 of March 4th, 2003, is

7 that a worst-case scenario, Mr. Haynes, in

8 terms of is that a rare event and one unlikely

9 to be repeated?

10 A. Just give me a second, please.

11 Q. Certainly.

12 A. I think, based on what's written here, and

13 based on discussions that I've been party to,

14 that the exposure is there often. We often

15 run the machine as a synchronous condenser.

16 When we shut it down, we do have to run the DC

17 systems for a period of time to ensure the

18 shaft--you know, lubrication on the machine

19 and so on. It is rare, but very possible to

20 occur at any point in time.

21 Q. If I could move on then to the response to IC-

22 -RFI IC-11 in respect of this project. It

23 appears from the response that this situation

24 has been recognized at least by Hydro for the

25 past five years that there has been a concern

Page 191

1 A. I feel it is urgent that we do this. It's an

2 exposure to a gas turbine that's part of our

3 portfolio of generation that is essential to

4 meet the power energy needs and to reliably

5 meet those needs. This is a proposal that

6 will actually minimize that risk and one that

7 we've employed at other gas turbine sites.

8 Q. Thank you, Mr. Haynes. Mr. Chair, those are

9 all the questions I have for this panel.

10 Thank you, Mr. Haynes.

11 CHAIRMAN:

12 Q. Thank you, Mr. Coxworthy.

13 HUTCHINGS, Q.C.:

14 Q. I have just a couple of matters to deal with,

15 with Mr. Haynes on this panel, Mr. Chair. Mr.

16 Haynes, if we could look quickly at the

17 project at page B-15, that's the Dry Ice

18 Cleaning System, and in conjunction with that,

19 we have the response to IC-57 which asked what

20 other steps Hydro had taken to eliminate the

21 problem of brake dust and oil mist on the

22 rotors and stators. The figure that's quoted

23 in IC-57 at line 12 talks about another

24 solution to these problems, which involves an

25 expenditure of \$100,000 per unit. I take it

Page 190

1 with respect to black start reliability. Is

2 that the case, that that has been recognized

3 as a concern, at least for the last five

4 years? And I say five years, back to '99.

5 A. I can't say specifically, I'm sorry.

6 Q. Okay. Would you agree from the information

7 that's provided by IC-11 that it appears that

8 there's been an average of only one failed

9 start per year in that time period since 1999?

10 A. Yes.

11 Q. Do you know whether any of those failed starts

12 have resulted in any prolonged interruption of

13 service or caused any significant damage to

14 the gas turbine unit?

15 A. I'm not aware that it has, other than the

16 March 4th event.

17 Q. With that information in mind, is there any

18 urgency to implementation of the diesel backup

19 solution in 2005, as opposed to 2006, given

20 the average of only one failed start per year

21 and in that time period, there only having

22 been one event, the March 4th 2003 event,

23 that's caused significant damage or

24 significant prolongation in interrupted

25 service?

Page 192

1 that is some other system which will prevent

2 this dust or mist from attaching itself to

3 these rotors?

4 A. Yes. That system would actually reduce

5 specifically the carbon dust from the slip

6 ring, from the brushes. It would actually

7 contain and collect that particular dust. It

8 doesn't necessarily mitigate oil contaminants

9 and so on, but it does help reduce the overall

10 contamination.

11 Q. As I understand from the answer, such a system

12 is in place in the Granite Canal project?

13 A. Yes, that was designed in with the machine.

14 Q. And was the cost similar?

15 A. It would be my understanding that this, that

16 it would be similar. However, I should add

17 that Granite Canal was not a retrofit to an

18 existing unit, so it would have been a lot

19 easier to implement and the cost may have been

20 lower. When you go back and retrofit,

21 typically the cost is more.

22 Q. No, I understand, but you know, to whatever

23 extent somewhat up to \$100,000 we have paid at

24 Granite Canal for this other system?

25 A. Yes, we have.

Page 193

1 HUTCHINGS, Q.C.:

2 Q. Yes, okay. Now this Dry Ice Cleaning System

3 that we're talking about here, I take it

4 that's not a mobile system? That's affixed to

5 the particular units that it's associated

6 with, is it?

7 A. No, actually it is a mobile system. It's one

8 system for all Bay D'Espoir or for Cat Arm or

9 Hind's Lake or anywhere else that we can take

10 it and use it. It's a portable device that we

11 would use in any winding cleaning or on any

12 generator.

13 Q. Okay. So if this were acquired and Granite

14 Canal hadn't had that system built in, you

15 could in fact have taken it to Granite Canal

16 and used it there as well?

17 A. Yes, we could have.

18 Q. Okay. The reference to reduction of cleaning

19 time by 50 to 60 percent, is this simply a

20 reduction in your staff time that you're

21 speaking about?

22 A. Yes, it's basically labour.

23 Q. Okay. But up until now, this service has been

24 contracted out?

25 A. Yes. Well, we have contracted it out. We've

Page 195

1 seven is 28 years old and units one to four

2 are 38 years old, so all these things help

3 prolong the life of the winding and to ensure

4 that we keep it clean, and if we do have a

5 failure, it won't be a big failure. It'll

6 minimize the damage.

7 Q. So the intent here is to displace the

8 maintenance costs of this 15,000 per unit or

9 whatever it may be with this new piece of

10 equipment?

11 A. Yes, and it does a better job than manual

12 cleaning, the dry ice system.

13 Q. Okay. All right. If we could look now to

14 page B-16. This is the upgrade of the control

15 system at Holyrood, and this project is well

16 underway, I understand, having been approved

17 last year for about a million and a half

18 dollars. Is that correct?

19 A. Yes, 1.6 million for 2004.

20 Q. '04, yes. In your presentation of last year,

21 in respect to this project, there had been

22 filed a report which was at Section G, Tab 2,

23 which was the Distributed Control System

24 Lifecycle Planning Report, which I think you

25 and I discussed last year in connection with

Page 194

1 also done it by rags and chemical or cleaning

2 solution. We've done it both ways, depending

3 on the availability and the time of the year.

4 (4:00 P.M.)

5 Q. Okay. Is it anticipated that even with the

6 system that's in place in Granite Canal, there

7 may be other cleaning required?

8 A. Sorry, you mentioned Granite Canal? I didn't

9 understand.

10 Q. Even with the system that's been built into

11 the Granite Canal project, is there still

12 going to be a requirement for cleaning?

13 A. At Granite Canal?

14 Q. Yes.

15 A. Possibly, but I'm not--I can't be certain of

16 that answer. This particular unit would be

17 used--the Granite Canal is a containment

18 around the dust-generating mechanism. So it's

19 not a portable thing. It's a part of the

20 machine, if you will.

21 Q. Right.

22 A. And part of the standard design. This is a

23 portable machine that would allow us to clean

24 these windings. I think it's worth noting as

25 well that these windings range in--number

Page 196

1 this, and it seemed fairly clear at that stage

2 that there was really only one potential

3 supplier who could accommodate the work that

4 had to be done on anything like an economical

5 basis. Is that a fair characterization?

6 A. That was certainly our understanding at the

7 time.

8 Q. Yes, okay. And it now appears that in

9 addition to Westinghouse which had all ready

10 by that time, I think, been called Emerson

11 Process Management, that there is this option

12 to go with the Foxboro Company and that's what

13 you're now recommending?

14 A. That's what we've done.

15 Q. Okay. When you say you've done, you did that

16 in respect of the work in 2004?

17 A. Yes. It's a Foxboro System that is installed

18 as we speak and being commissioned now.

19 Q. Okay. So while this is a project spread over

20 two years, it's not divisible in the sense

21 that this is one unit or two units. It is all

22 a single process which is taking place over a

23 two-year period?

24 A. Yes, that's correct.

25 Q. Okay. All right. You note at page B-18 that,

Page 197

1 HUTCHINGS, Q.C.:

2 in item five there, that Foxboro have a

3 superior history of long-term commitment

4 through the backwoods compatibility and so on.

5 You noted that recent clients of the migration

6 processes were contacted and were pleased with

7 their systems and so on. How is it that when

8 you were before the Board last year, you were

9 unaware of this great history that Foxboro had

10 in terms of actually doing exactly the sort of

11 work that you now have them doing?

12 A. What we were unaware of, I mean, there are

13 other companies who can replace that system

14 besides Foxboro. The natural migration path

15 that we proposed to the Board last year was

16 based on a migration path that Emerson,

17 Westinghouse Emerson had come up with to allow

18 to reuse certain of their equipment and so on.

19 Foxboro and--we were unaware, but we did

20 become aware of it through contacts, through

21 discussions and so on, that Foxboro actually

22 does reuse certain components of the cabinets

23 and the plug ins and so on, and it was

24 actually through a WebEx conference, I

25 believe, that we became aware of it and

Page 199

1 we got this afternoon to the undertaking which

2 is U-Hydro No. 8, I believe, and that goes to

3 an attempt to explain the differences that

4 were noted between the economic analysis with

5 respect to the Roddickton mini hydro dam at

6 IC-18 and the analysis at Tab--Section G, Tab

7 1 in Appendix C with respect to the Snook's

8 Arm project. Is it fair to say that

9 essentially the difference, which doesn't

10 appear on the face of the two documents that

11 we previously had, is related to the capacity

12 factor for the plants?

13 A. Yes, that's correct.

14 Q. And Snook's Arm is about a 68 percent capacity

15 factor and Roddickton is only about 28, 29

16 percent?

17 A. Yes.

18 Q. Okay, all right. And that explains the

19 difference between the 13,000 capacity charge

20 with Roddickton Mini Hydro and the 45,000,

21 almost 46,000 in respect to Snook's Arm?

22 A. Yes.

23 Q. So, the figure of \$100 per kilowatt hour per

24 year, that's the all-in capital cost of the

25 gas turbine, isn't it?

Page 198

1 pursued it, and eventually came to the

2 conclusion that Foxboro had a superior record

3 and superior support even in the province,

4 that was unavailable with Westinghouse, and

5 the cost was basically similar.

6 Q. Is it fair to say that had you made those

7 inquiries prior to the hearing last year, you

8 would have been able to provide this

9 information to the Board at that time?

10 A. That I don't know. Possibly. But we looked

11 at the--what was looked at was the migration

12 path from one Westinghouse version to another

13 and it was a logical way to go, a logical

14 route. You would reuse some of the equipment,

15 the I/O card specifically, and in a Foxboro

16 system, all that's been replaced, which will

17 give us a longer term and supportable life

18 than the current system.

19 Q. But you put to the Board last year in support

20 of the \$1.5 million that you asked the Board

21 to approve, and they did approve, the notion

22 that Emerson was your only option, correct?

23 A. That's correct.

24 Q. I just need to cover now, Mr. Haynes, a couple

25 of questions that arose out of the reply that

Page 200

1 A. That's a levelized cost for a gas turbine.

2 Gas turbines typically would cost roughly

3 \$1000 a kilowatt, so, obviously we would not

4 impose--we would obviously not go out and buy a

5 400 kilowatt gas turbine at the \$400,000 or

6 whatever it is, so this is a prorated portion

7 to, in theory, replace this particular

8 capacity when we do need to bring on new

9 system capacity.

10 Q. Yes, but when you use \$100 per kilowatt per

11 year, you're talking about going out and

12 buying a 50 megawatt gas turbine and that

13 would cost you \$100 per kilowatt that that 50

14 megawatt turbine could produce, correct?

15 A. Yes, more or less that's right, yes.

16 Q. Okay, so I didn't understand your reference to

17 the \$1000.

18 A. To go out and buy a 50 megawatt gas turbine

19 would cost in the order of approximately \$1000

20 a megawatt.

21 Q. A \$1000 per megawatt?

22 A. I'm sorry, per kilowatt, that would be the

23 cost to go out and buy--it's approximately

24 \$1000 a kilowatt to go out and buy gas

25 turbines of that size.

Page 201

1 HUTCHINGS, Q.C.:

2 Q. So if you're talking about a 50 megawatt gas

3 turbine at \$1000 per kilowatt, you're talking

4 \$50,000,000?

5 A. Yes.

6 GREENE, Q.C.:

7 Q. And may I again, for the record, that's the

8 capital cost of the new gas turbine?

9 A. Yes, I'm sorry, that's the capital cost, this

10 is levelized.

11 HUTCHINGS, Q.C.:

12 Q. So what you refer to as the levelized cost is

13 the annual carrying cost of the asset, is that

14 what you're saying?

15 A. I am not--I can't recall the specific

16 calculation, but it's a number that we've used

17 in previous studies and previous hearings.

18 It's a number calculated by planning which is

19 a fair representation of what a capacity

20 installation only would cost Hydro on a

21 levelized basis, annual.

22 Q. Okay--go ahead.

23 A. Annually, it's \$100 per kilowatt per year.

24 Q. Okay. Is it fair to say that the gas turbine

25 is, as regards the mix of generation of

Page 203

1 usually capacity and energy we add in this

2 time frame.

3 Q. Your projection is for deficits in both energy

4 and demand to occur around the same time at

5 this point?

6 A. At this point in time, yes.

7 Q. And with that in mind, it is in fact unlikely

8 that your solution in 2011 is going to be a

9 gas turbine, is that not fair?

10 A. That's fair.

11 Q. Thank you, Mr. Haynes, that's all I have for

12 this witness, Mr. Chair.

13 CHAIRMAN:

14 Q. Thank you, Mr. Hutchings. Mr. Kennedy?

15 MR. KENNEDY:

16 Q. Thank you, Chair. Mr. Haynes, I just have two

17 projects and two questions, one on each one.

18 So the first one I want to look at was B-13

19 which is the Snook's Arm project. And as I

20 understand it what Hydro's applying for here

21 in 2005 is \$115,000 to fund the capital costs

22 associated with the detailed engineering that

23 needs to be conducted in order for you to set

24 this project up for actual, the conduct of the

25 order in 2006, is that right?

Page 202

1 capability available to Hydro, the high end of

2 the scale in terms of the availability to

3 provide capacity?

4 A. Actually for capacity it's the cheapest.

5 Simple cycle combustion turbines are typically

6 the cheapest capacity-only resource that we

7 could put on for capacity only.

8 Q. Yes, but in terms of the energy that they

9 produced, obviously it's very expensive

10 energy?

11 A. But the energy in this particular analysis is

12 costed to our marginal cost the cheapest one,

13 which is Holyrood.

14 Q. Which is Holyrood, no, I understand that, yes,

15 okay. In terms of your system planning for

16 the year 2010, 2011 when new capacity--or new

17 plant is expected to be added, you will be

18 needing to add both capacity and energy around

19 the same time, will you not?

20 A. Hopefully, that's the opportune time to do it,

21 yes. We have, obviously, as we presented I

22 think in the GRA last year, we have some times

23 of the year a difference between the two and

24 we will review that and then make the best

25 judgment as to what time to do it, but it's

Page 204

1 A. That's correct, yes.

2 Q. And so at this point, the 1.815 million that

3 is booked in there in B-13 for 2006, is

4 Hydro's best estimate of what that project

5 will cost, but it's subject to the results of

6 that detailed engineering that you would

7 conduct in 2005?

8 A. Oh yes, we would review the cost estimates and

9 refine as appropriate.

10 Q. And, we don't really need to go there again,

11 you were cross-examined about the net present

12 value calculations that were afforded in

13 support of that and it's in the Supplemental

14 document, I think it was at Table 7.1, page

15 15.

16 A. Yes.

17 Q. Which provided the range of net present values

18 from a low, I think of 586 to high of 863?

19 A. Yes.

20 Q. And that's 863,000. So would it be Hydro's

21 intention that if the scope of this project

22 was to become materially impacted by the

23 detailed engineering work that you do during

24 2005, affecting the estimated cost of what

25 this project would be for 2006, that you would

1 MR. KENNEDY:
 2 revisit the issue?
 3 A. Certainly if there was a significant change we
 4 would have to revisit the issue, that would be
 5 only prudent on our part, but I would add that
 6 if the cumulative present worth difference of
 7 approximately six hundred thousand dollars,
 8 there would have to be a significant change to
 9 actually affect the overall project economics.
 10 (4:15 p.m.)
 11 Q. Okay, so you, as any good witness, anticipated
 12 my question which was that's a relative factor
 13 then in your mind to the determination of when
 14 a project would, if it was to go outside of
 15 its intended scope, require a subsequent
 16 review when it goes outside of its net present
 17 value tolerance?
 18 A. It would require a review certainly internally
 19 from the point of view if there was a change
 20 in the economics, the viability of a project,
 21 we would obviously consider that further and
 22 have a second look. There is a fair latitude
 23 for change in the capital cost or
 24 environmental remediation cost which would
 25 still make this particular project economic.

1 Q. Okay, keeping that in mind, I wonder if we
 2 could just have a look at B-21 which is
 3 related to the Holyrood upgrading of the civil
 4 structures there.
 5 A. Yes.
 6 Q. And there was the boiler stack and then the
 7 screen structure and I was just interested in
 8 the boiler stack itself. And on, I think it
 9 was direct examination, I'm not sure, it may
 10 have been during your cross here today, there
 11 was some questions related to--you were
 12 showing up some pictures of the liner at the
 13 top of the crane being ready to be slipped
 14 down inside the stack, correct?
 15 A. That's correct.
 16 Q. And if I gathered you correctly, you indicated
 17 there that you may not do the line of
 18 replacement in the same manner because that
 19 crane is not available, correct?
 20 A. That would, obviously, depend on the bids or
 21 the quotations that we have for the work. We
 22 did not anticipate that the crane would be
 23 available last time through, we thought, you
 24 know, typically they're installed internally.
 25 We reviewed that particular bid and concurred

1 that it was doable and it was cheaper, so we
 2 did it and when we go out the tender this
 3 year--or next year, I should say, we will
 4 entertain any particular construction
 5 techniques as long as they're reliable and can
 6 do the job.
 7 Q. Okay. Mr. O'Rielly, do you have the 2004
 8 Budget Application there that you can pull up
 9 on the screen? Okay, could we go to B-22 from
 10 Hydro's 2004 Budget Application? And, Mr.
 11 Haynes, this was your application last year
 12 seeking budget funds for 2004 relating to this
 13 same project, as I understand it, right, stack
 14 #2?
 15 A. Yes.
 16 Q. Okay, and the civil structure. And what we
 17 had was an amount for 2004 of \$78,500 and then
 18 an estimated budget of--in 2005 of two million
 19 one five.
 20 A. Yes.
 21 Q. Okay. So I wonder if we could just go back to
 22 B-21 now of the current application, if we
 23 could just scroll down. So did this project
 24 just get pushed out for a year, the 2004
 25 figure is \$78,500, so that would be in the

1 detailed engineering work that you did this
 2 year?
 3 A. No, that's not completed at this point in
 4 time.
 5 Q. Okay, that's the explanation then of why the
 6 2005 figure would not have varied at all
 7 between last year's project application and
 8 this year's projection application?
 9 A. There's been no detailed review at this point
 10 in time, that's work that basically is in
 11 progress now and probably as we speak, but it
 12 will be done by the end of the year to do a
 13 review, you know, get bid documents in place
 14 and so on ready to go.
 15 Q. Okay, so the estimates, if you will, or the
 16 costing data that Hydro is providing here for
 17 2005 is based on the, presumably the same
 18 information that you used to derive that
 19 identical number in 2003 when you were
 20 submitting your budget for 2004?
 21 A. Yes, and the last job basically was less than
 22 two million--was approximately a hundred
 23 thousand dollars less than this, so it's just
 24 a minor refinement for escalation; we
 25 anticipate similar costs.

Page 209

1 MR. KENNEDY:
 2 Q. Okay. So can I ask you, going forward here
 3 what would you--what would be your opinion on
 4 a reasonable tolerance around that estimated
 5 cost right now of two million one?
 6 A. Typically our estimates are, you know,
 7 obviously they vary but, you know, plus or
 8 minus ten percent is a number that we would
 9 use from a budgetary point of view, including
 10 the contingency. I would like to add that in
 11 the previous job, we came in approximately one
 12 percent under budget which I thought was
 13 pretty good and I have no reason to think at
 14 this particular time we would be significantly
 15 different on this particular job.
 16 Q. So if this one isn't--if I gather correctly an
 17 MPV driven product, if you will, it's an
 18 obsolescence in safety driven project as
 19 argued by Hydro, correct?
 20 A. That's correct.
 21 Q. All right, and so we don't have that same, if
 22 you will, check like we would in a project we
 23 just looked at, Snook's Arm, where we have an
 24 MPV that may get affected in your project goes
 25 out of scope?

Page 211

1 particular project, as I say, is a must do and
 2 if it was two and a half million dollars, in
 3 my view, we'd still have to complete the job
 4 to ensure the availability and maintainability
 5 of the plant. So I think it's quite--you
 6 know, it's different from that point of view,
 7 I think projects that are justified based on
 8 this, they, you know, the estimates that we
 9 provided in the past have been reasonable. We
 10 had no reason to think that we're, you know,
 11 significantly off base with our cost
 12 estimates. As I mentioned, this one was one
 13 percent off in 2003 which I thought was pretty
 14 good.
 15 Q. No, excellent, and I think there might be a
 16 slight misunderstanding, it's not a question
 17 aimed at determining when the project should
 18 be questioned in the sense of you put forward,
 19 if we just accept the assumption that it's a
 20 safety driven project, so that you have to
 21 have it done -
 22 A. Uh-hm.
 23 Q. And you're saying it's going to cost two
 24 million one and that's what this panel, for
 25 instance, if it were to approve that project,

Page 210

1 A. No, this is basically justified because of the
 2 condition of the current stack and the safety
 3 aspects. It's a must do.
 4 Q. I'm sorry?
 5 A. It's a must do. We have to do this particular
 6 project.
 7 Q. Right, so in the first one, in Snook's Arm, if
 8 the project goes out of scope and ends up
 9 placing into doubt, if you will, the financial
 10 viability of the project by virtue of turning
 11 those positive net present values into
 12 negative ones, then that's a clear indication
 13 to Hydro that you would need to rethink the
 14 project, correct?
 15 A. Certainly.
 16 Q. Okay, in a case where we don't have a net
 17 present value calculation, the project is not
 18 being justified on operating efficiency gains
 19 or just a spend money now, save it over the
 20 long term scenario, can we use a plus or minus
 21 ten percent figure as a reasonable tolerance
 22 for when a project starts to go out of scope,
 23 when a project has exceeded what your
 24 reasonable engineering judgment estimate is?
 25 A. I'm reluctant to agree with that because this

Page 212

1 that's what its approval is based on, is that
 2 estimate of how much is it going to cost to
 3 fix this?
 4 A. Yes.
 5 Q. I'm trying to get a sense of from your
 6 engineering perspective when do you consider a
 7 project to have gone outside the original
 8 scope and keeping in mind that it's the panel
 9 here approving this project on the basis of
 10 the number that you've represented in B-21?
 11 A. I don't have a number.
 12 GREENE, Q.C.:
 13 Q. Although I would point out that the only thing
 14 Hydro is asking for is approval of the
 15 engineering study to be done and we will be
 16 back in 2006 with respect to the refined cost
 17 estimate following the engineering study,
 18 which at that time we will be asking the Board
 19 to approve the capital cost for the actual
 20 work.
 21 HUTCHINGS, Q.C.:
 22 Q. I'm sorry, Mr. Chair, I didn't understand that
 23 intervention with respect to this project.

Page 213

1 MR. KENNEDY:
 2 Q. Yes, I was just going to ask for
 3 clarification. I thought Hydro is asking for,
 4 on this one, I believe counsel that Hydro is
 5 asking for approval of the full two million
 6 for 2005, not the engineering?
 7 GREENE, Q.C.:
 8 Q. Is that the right one on the screen?
 9 MR. KENNEDY:
 10 Q. Yes, this is your 2005 Capital Budget
 11 Application.
 12 GREENE, Q.C.:
 13 Q. Oh, sorry.
 14 MR. KENNEDY:
 15 Q. And it might have been my flipping back and
 16 forth because I was looking at the 2004 a
 17 minute ago.
 18 GREENE, Q.C.:
 19 Q. Sorry, I thought you were talking about -
 20 MR. KENNEDY:
 21 Q. Right. So Hydro is looking for approval to go
 22 ahead with this actual project in 2005?
 23 A. Yes, at an estimated cost of two million
 24 dollars.
 25 Q. Right. You're conducting the detailed

Page 215

1 there's also, I think, regular reporting to
 2 the Public Utilities Board on our capital
 3 program I think on a quarterly basis.
 4 Q. Sure, there's regular variance reports issued
 5 to the Board, sure.
 6 A. Yes, and that would be the vehicle to inform
 7 if there's a change.
 8 Q. Sure, I'm thinking more of the internal
 9 structure of Hydro, you said if a budget goes
 10 over ten percent, it requires further
 11 authorizations inside of Hydro or someone
 12 needs to sign off -
 13 A. Yes, I, as a VP, would have to sign off for
 14 any capital budget increases beyond the, I
 15 forget the number offhand, but I'd have to
 16 sign it off. And if it goes extraordinary,
 17 you know, significantly off, I would have to
 18 go to my boss, obviously and seek further--and
 19 I believe there's probably provisions to go to
 20 our board of directors if it's a major
 21 difference in the cost that we anticipate.
 22 Q. Right, well it wouldn't be the first chain of
 23 command. In your chain of command, you use
 24 the ten percent figure, that's what triggers
 25 your requirement to sign off?

Page 214

1 engineering study while we go through this,
 2 and you believe that your budget estimate here
 3 is accurate and that you should come in
 4 within, close to that figure once the project
 5 finishes in 2005?
 6 A. Yes, we should be reasonably close to that
 7 number.
 8 Q. Okay. And you expressed a figure of plus or
 9 minus ten percent as being, in your view, an
 10 acceptable range for a project of this size?
 11 A. From a budgetary point of view, that would be
 12 a typical number. I mean, we've obviously
 13 come in under or come in over on some
 14 projects, depending on the nature of the job
 15 or unknowns.
 16 Q. Is there anything significant from a
 17 procedural perspective, Mr. Haynes, inside of
 18 Hydro that's triggered off by virtue of a
 19 project going over more than ten percent
 20 budget? Do you need to report back up to, for
 21 instance, your board of directors or the like?
 22 A. There is a sign off, if a capital budget
 23 that's in place exceeds a certain variance, it
 24 has to be signed off by the VP, depending on
 25 the amount and it goes from there. And

Page 216

1 A. No, what I meant was a ten percent change
 2 would be the, you know, the typical accuracy
 3 of a budget or estimate that we would
 4 anticipate that would be plus or minus ten
 5 percent. And I forget the actual percentage
 6 number where I would have to be, to actually
 7 sign a change order, I don't recall off the
 8 top of my head.
 9 Q. That's all the questions I have, Chair,
 10 members of the panel. Thank you.
 11 CHAIRMAN:
 12 Q. Thank you, Mr. Kennedy. Any re-direct Ms.
 13 Greene?
 14 GREENE, Q.C.:
 15 Q. Yes, I do have a couple. The first is with
 16 respect to the Upper Salmon Power Canal, which
 17 is B-5, and I don't think we need to go to it,
 18 but in your discussion in response to
 19 questions, you referred to the Dyke Board. Is
 20 it correct that the Dyke Board is a group of
 21 national experts that are recognized
 22 internationally with respect to dams and
 23 dykes?
 24 A. Yes, they are all internationally recognized
 25 who work in all areas of the world on dykes

Page 217

1 MR. HAYNES:
 2 and dams and hydro facilities.
 3 Q. How long has the Dyke Board been providing
 4 that external expertise for the dams and dykes
 5 for Hydro and for Churchill Falls?
 6 A. For Churchill Falls it's been there many, many
 7 years and for Hydro, I think it started in the
 8 early to mid eighties that we actually engaged
 9 the Dyke Board and we've maintained them ever
 10 since.
 11 Q. Mr. Coxworthy asked you questions with respect
 12 to whether there was new information further
 13 to the report that he referred you to dated
 14 1999. With respect to the Dyke Board, have
 15 they visually inspected the Upper Salmon Power
 16 Canal since 1999?
 17 A. Each year they inspect that particular canal
 18 because of their concern and they also review
 19 any data, piezometer data and so on at Bay
 20 d'Espoir. They actually do a one-week visit
 21 to the Hydro system and look at all those
 22 particular aspects.
 23 Q. So they review the information that would, on
 24 a subsequent to 1999, each year we may visit,
 25 is that correct?

Page 219

1 viewed as experts in the maintenance and
 2 construction of dams and dykes?
 3 A. Yes, we have some engineers who are dedicated
 4 to dyke and dam work and their review of this
 5 particular thing, they concur that there is an
 6 issue that we have to address.
 7 Q. And again, they concur with the recommendation
 8 of the Dyke Board and brought it forward to
 9 executive management that it was critical to
 10 undertake this work in 2005?
 11 (4:30 p.m.)
 12 A. Yes, we have to--we're not necessarily
 13 absolutely certain that the suggestion of the
 14 Dyke Board may be the ultimate solution, but
 15 we do have to do something, Acres were
 16 retained, the Dyke Board are engaged and we
 17 will arrive at the appropriate remedy.
 18 Q. The next area with respect to work be acquired
 19 for various fuel tanks to meet legislative
 20 requirements, with respect to the underground
 21 fuel tank, there are two in this particular
 22 budget. One is at B-9, the upper Salmon and
 23 the other is at Hydro Place. Does Hydro have
 24 any other underground fuel tanks that do not
 25 comply with current environmental

Page 218

1 A. That's correct.
 2 Q. And they do a visual inspection and actually
 3 walk over the dam, is that correct?
 4 A. That is correct. I, unfortunately, have not
 5 accompanied the current Dyke Board at Hydro,
 6 but I have accompanied in CF(L)Co several
 7 times and I do literally walk and crawl all
 8 over the dyke doing what geotechnical people
 9 do.
 10 Q. Following the annual inspections from the Dyke
 11 Board, what is the Dyke Board's recommendation
 12 with respect to the requirement to do the
 13 stabilization work for the Upper Salmon Power
 14 Canal in 2005?
 15 A. They consider this to be urgently required and
 16 in fact is why we bought this capital budget
 17 forward to the Board last year or earlier this
 18 year.
 19 Q. And after the review of the Dyke Board's
 20 recommendations by a Hydro engineering group
 21 who are specialists in dams and dykes, what
 22 was their recommendation?
 23 A. I'm sorry, can you repeat that?
 24 Q. The internal engineering staff at Hydro--
 25 first, do we have engineering staff who are

Page 220

1 requirements?
 2 A. Yes, we have one more underground fuel tank
 3 that will be in a future capital budget and
 4 that is at the Cat Arm facility.
 5 Q. You mentioned that Hydro has had discussions
 6 with the Department of Environment with
 7 respect to these items of non-compliance.
 8 First, when were the items of non-compliance
 9 actually know and determined and how did that
 10 occur?
 11 A. We do an environmental audit where we go
 12 through and look at our compliance with
 13 legislation and some of these particular
 14 issues were picked up in the audit process
 15 where we go through and look at all of our
 16 facilities and look at the environmental
 17 regulations and the approvals that we have in
 18 place and to ensure that they are being done
 19 and that the appropriate testing etcetera is
 20 being carried out. And these were arrived at
 21 through this audit process.
 22 Q. And the determination of what tanks to be done
 23 to meet the current requirements was discussed
 24 with the Department of Environment and they're
 25 aware of Hydro seeking approval to have these

Page 221

1 GREENE, Q.C.:
 2 done in this time frame?
 3 A. Yes, they're aware of our plans for tank
 4 remediation.
 5 Q. And that is one of the reasons that Hydro has
 6 not been charged with violations with respect
 7 to the current legislation because of its
 8 program to address the issues?
 9 A. That's correct.
 10 Q. The next and the last question for re-direct
 11 was with respect to the upgrade of the control
 12 system that Mr. Hutchings just referred you
 13 to, in B-16. And I wonder here if we could go
 14 to IC-58 please, and I could just refer you to
 15 line 16 and 17. For the record, Mr. Haynes,
 16 can you confirm that the Foxboro proposal
 17 actually was the lowest evaluated bid with
 18 respect to the supply of this system?
 19 A. Yes, it was.
 20 Q. So, it was a lower cost effective solution
 21 with a lower cost to the rate payers, is that
 22 correct?
 23 A. That's correct, the lower--it will be the
 24 lowest cost long term solution.
 25 Q. I'm sorry, the last question actually is with

Page 223

1 on re-direct.
 2 CHAIRMAN:
 3 Q. Commissioner Powell, do you have any
 4 questions.
 5 COMMISSIONER POWELL:
 6 Q. No, I have no questions, thank you.
 7 CHAIRMAN:
 8 Q. Commissioner Martin?
 9 COMMISSIONER MARTIN, Q.C.:
 10 Q. I'd like to know what happens to the mussels,
 11 but -
 12 A. We contract with Crosbie's, I believe, to haul
 13 them away, I guess, he takes them to Robin
 14 Hood Bay.
 15 CHAIRMAN:
 16 Q. Once they go through the vacuum truck you
 17 don't want them. Well, that pretty well wraps
 18 things for this evening. I guess the only
 19 thing we have to finalize now would be in
 20 terms of the, some comments to the parties
 21 with regard to where we might be headed from
 22 here in terms of the time frame. Mr. Kennedy,
 23 you've had some discussion with the parties,
 24 can you indicate where we might be in terms of
 25 finishing tomorrow as opposed to extending

Page 222

1 respect to Mr. Hutchings' questions with
 2 respect to the alternative that was done for
 3 Snook's Arm and the levelized cost for that.
 4 The analysis that we provided today in
 5 response to the undertaking number 8, you
 6 mentioned, in going through that, that the
 7 alternative we used was combustion gas
 8 turbine, is that correct, combustion turbine?
 9 A. For the capacity, yes.
 10 Q. Yes, for the capacity. Mr. Hutchings pursued
 11 with you that at the time we would replace, in
 12 2010 or 11, it looks like we will be replacing
 13 for capacity and energy, is that correct?
 14 A. That's correct.
 15 Q. The alternative to that would be used at that
 16 time, isn't it correct, Mr. Haynes that that
 17 would be more expensive than the gas turbine
 18 that was used in this analysis?
 19 A. That is, more than likely, that is almost an
 20 absolute.
 21 Q. In fact, if that had been used, this would
 22 even look better for Snook's Arm, isn't that
 23 correct?
 24 A. Yes.
 25 Q. Thank you, those are the only questions I have

Page 224

1 over.
 2 MR. KENNEDY:
 3 Q. It's difficult to get some visibility on it.
 4 In light of--we have the VHF project to
 5 proceed through tomorrow which is a special
 6 panel for, I understand from counsel for Hydro
 7 that that will take half an hour to 40 minutes
 8 to go through their presentation. We've got
 9 then also the IS & T witnesses to answer
 10 specific question relating to that part of it.
 11 And then, of course, it's the chief financial
 12 officer for Hydro to be called last. In light
 13 of these speed at which we proceeded over the
 14 last two days, I would suggest that it's
 15 probably unlikely that we'll finish tomorrow
 16 in realistic terms. And therefore it may be
 17 necessary to or a good idea to canvas the
 18 counsel to see what their availability is for
 19 next week in order to be able to continue the
 20 hearing and in order to finish it off. And
 21 I'd suggest we'd need one more day to ensure
 22 that you get it finished.
 23 CHAIRMAN:
 24 Q. Is one more day in realistic terms, is that
 25 something that would include argument of the

Page 225

1 CHAIRMAN:
 2 parties or -
 3 MR. KENNEDY:
 4 Q. Typically, counsel like to have another break
 5 after the evidence before they actually are
 6 called upon to do submissions. I don't know
 7 if the Panel is looking for written
 8 submissions or that hasn't even broached yet
 9 as a specific topic or whether just oral
 10 presentations from counsel is what's required.
 11 If it was written submissions, for instance,
 12 you would avoid the necessity of having to try
 13 to find another day on which all counsel are
 14 available as well members of the Panel. That
 15 might be the way to address the submission
 16 issue.
 17 CHAIRMAN:
 18 Q. Okay. Do any of the parties have any comment
 19 with regard to what Mr. Kennedy has put
 20 forward in terms of how many days would be
 21 necessary?
 22 GREENE, Q.C.:
 23 Q. Well, from Hydro's perspective, the 2005
 24 Capital Budget Approval obviously is a
 25 priority. Apart from concluding the hearing,

Page 227

1 CHAIRMAN:
 2 Q. Mr. Hayes, do you concur, that from your
 3 perspective another day would be sufficient to
 4 conclude the -
 5 MR. HAYES:
 6 Q. I would think so, Mr. Chair. Newfoundland
 7 Power is cross-examination of the remaining
 8 projects won't contribute materially to the
 9 length of the hearing. Tomorrow I should be
 10 available and beyond tomorrow, my wife's
 11 maternity may remove me from the picture, but
 12 I understand Mr. Alteen will be available next
 13 week and I think one day should do it.
 14 CHAIRMAN:
 15 Q. Very well, Mr. Hutchings, do you have anything
 16 to add to that?
 17 HUTCHINGS, Q.C.:
 18 Q. Yes, Mr. Chair, I think as Mr. Kennedy
 19 indicated, we would be probably a bit too
 20 optimistic to think that we might be able to
 21 finish all of this tomorrow. Certainly
 22 another day, I think would be sufficient to
 23 conclude it. I would have no difficulty with
 24 limiting the submissions to a written
 25 submission if that assists in the scheduling

Page 226

1 we have argument and then we have the time it
 2 takes for the order. As we have indicated
 3 before and I believe Newfoundland Power has,
 4 it is helpful to the utilities to have
 5 approval earlier in the previous year than
 6 historically and we've moved with that to try
 7 to have the approvals early in order to make
 8 some orders, we can speed up and get the work
 9 done for the following year. So, our concern
 10 is being here--next week is the middle of
 11 October, we are very concerned with respect to
 12 a schedule. We obviously view it, from
 13 Hydro's perspective, as a priority. This is
 14 later than we've been here last year, October.
 15 And from our perspective, I can't, in terms of
 16 our time, I can indicate as Mr. Kennedy has,
 17 for the Mobile Radio Panel, we do have direct
 18 evidence which would take in the vicinity of
 19 time that he has indicated with the remaining
 20 witness, the IS & T Panel and then Mr.
 21 Roberts, we do not have very long direct
 22 evidence, nor no presentations for either one
 23 of those panels. So, from the time
 24 perspective, we will not be long with the
 25 other two areas.

Page 228

1 or the expeditious conclusion of the matter.
 2 The difficulty that I do have is that I am not
 3 available next week at all and Mr. Coxworthy,
 4 as the Board may know, is new to the process,
 5 and I don't think it would be realistic for us
 6 to expect that my involvement could be
 7 dispensed with given how far we are along with
 8 this now. And the fact that I'll be out of
 9 the picture next week, Mr. Coxworthy himself
 10 is unavailable for the early part of next
 11 week. So, we do see that another day would be
 12 quite sufficient, but unfortunately we're not
 13 available to do that next week.
 14 CHAIRMAN:
 15 Q. Okay. We're certainly cognisant of Hydro's
 16 position and the fact that they'd like to get
 17 an early decision on the budget for obvious
 18 reasons. I think everybody appreciates that
 19 in terms of Hydro's scheme of things.
 20 Certainly from the Panel's perspective, we
 21 have problems with dates for various reasons,
 22 obligations of the Panel members, as well as
 23 scheduling here at the Board office itself in
 24 terms of other hearings that are coming before
 25 the Board. We do perhaps have a couple of

1 CHAIRMAN:
 2 dates in mind, but bearing in mind the
 3 comments of the parties here today and we'll
 4 take that under advisement tonight and we'll
 5 finalize perhaps a further schedule tomorrow.
 6 And with that we can adjourn now and reconvene
 7 tomorrow at 9:30.

8 GREENE, Q.C.:
 9 Q. Excuse me, Mr. Chair, you had said earlier,
 10 the schedule for tomorrow, you hadn't
 11 committed to the timing for the schedule
 12 tomorrow. Are you in a position now? Will it
 13 be 9:30 to 4:30 tomorrow or -

14 CHAIRMAN:
 15 Q. Bearing in mind the comments of the parties,
 16 that one more day would be sufficient to
 17 conclude the hearing, was that based on a 4,
 18 4:30 session tomorrow?

19 HUTCHINGS, Q.C.:
 20 Q. Even without going to 4:30 tomorrow, I think
 21 another day will finish it. I think we can be
 22 flexible about how late we go tomorrow.

23 CHAIRMAN:
 24 Q. Okay, well, I think we'll tentatively, you
 25 know, heard towards tomorrow with an idea of

1 concluding around 1:30, but we'll leave that
 2 flexible and we'll see how people feel about
 3 it tomorrow morning.

4 MR. ALTEEN:
 5 Q. What's the start up time, Mr. Chairman.

6 CHAIRMAN:
 7 Q. 9:30.

8 MR. ALTEEN:
 9 Q. Thank you.

10 Adjourned 4:42 p.m.

1 CERTIFICATE
 2 I, Judy Moss Lauzon, hereby certify that the
 3 foregoing is a true and correct transcript in the
 4 matter of Newfoundland and Labrador Hydro's 2005
 5 Capital Budget Application, heard on the 7th day of
 6 October, A.D., 2004 before the Board of
 7 Commissioners of Public Utilities, Prince Charles
 8 Building, St. John's, Newfoundland and Labrador and
 9 was transcribed by me to the best of my ability by
 10 means of a sound apparatus.
 11 Dated at St. John's, Newfoundland and Labrador
 12 this 7th day of October, A.D., 2004
 13 Judy Moss Lauzon