

Page 1

1 (9:05 a.m.)
 2 CHAIRMAN:
 3 Q. Good morning everybody. I'd just like to
 4 welcome everybody here this morning at these
 5 proceedings. My name is Robert Noseworthy and
 6 I'm Chair and CEO of the Public Utilities
 7 Board, and I guess for the purposes of this
 8 hearing, I'm serving as the Chair of the
 9 Panel. Indeed, two of us here assign
 10 responsibility to hear this application before
 11 us. My colleague joining me on the panel is
 12 Ms. Darlene Whalen, who's Vice-Chair of the
 13 Board. And I'd just like to take this
 14 opportunity to introduce the staff as well.
 15 On my near left here is Cheryl Blundon, who's
 16 the Board Secretary, and Dwanda Newman, who's
 17 the Board counsel.
 18 This public hearing by the Board is for
 19 the purpose of deciding on an application of
 20 Newfoundland and Labrador Hydro, seeking the
 21 Board's approval pursuant to Section 71 of the
 22 Public Utilities Act to recover the cost of
 23 purchasing a lower sulphur content fuel to be
 24 consumed at the Holyrood Generating Station.
 25 The impact on rates of the proposed change to

Page 3

1 CHAIRMAN:
 2 Q. Good morning, sir.
 3 MR. RICKETTS:
 4 Q. Good morning.
 5 CHAIRMAN:
 6 Q. Mr. Hutchings, good morning.
 7 HUTCHINGS, Q.C.:
 8 Q. Thank you, Mr. Chairman, good morning. Joseph
 9 Hutchings, and with me, Paul Coxworthy from
 10 the Stewart McKelvey firm in St. John's,
 11 representing the Industrial Customers, and
 12 also present in the front row is Mr. David
 13 McDonald from Corner Brook Pulp and Paper, who
 14 is the current chair of the IC Customer Group.
 15 CHAIRMAN:
 16 Q. Welcome, gentlemen.
 17 JOHNSON, Q.C.:
 18 Q. Good morning, Mr. Chair, Vice-Chair. Tom
 19 Johnson, the Consumer Advocate in these
 20 proceedings.
 21 CHAIRMAN:
 22 Q. Good morning, Mr. Johnson. Good morning, Mr.
 23 Hayes.
 24 MR. HAYES:
 25 Q. Good morning, Chair, Madam Vice-Chair. Gerard

Page 2

1 the lower sulphur content fuel is estimated in
 2 the application to be approximately one
 3 percent increase in rates to Newfoundland
 4 Power's and Hydro's non-Labrador
 5 Interconnected Residential and General Service
 6 Customers and an approximate two percent
 7 increase to Hydro's Island Industrial
 8 Customers.
 9 The Board is hearing this application
 10 pursuant to the appropriate authorities and
 11 regulations contained in the Public Utilities
 12 Act. And I'd just like to ask at this point
 13 in time if I could ask those seated at the
 14 tables to formally introduce yourselves,
 15 indicate whom you represent and in what
 16 capacity you're participating in the hearing,
 17 and I'll begin with the applicant, Hydro.
 18 Good morning, Mr. Young.
 19 MR. YOUNG:
 20 Q. Good morning, Mr. Chair. Geoffrey Young for
 21 Newfoundland and Labrador Hydro, the
 22 applicant, legal counsel. With me today is
 23 the witness for today's hearing, Mr. Frank
 24 Ricketts, our Manager of Environmental
 25 Services.

Page 4

1 Hayes representing Newfoundland Power.
 2 Assisting me today is Mr. Jack Casey,
 3 Newfoundland Power's senior engineer.
 4 CHAIRMAN:
 5 Q. Thank you and good morning. Once again,
 6 welcome everybody. At this juncture, I
 7 normally do a bit of an overview, I guess, on
 8 the role of the Board and really the process
 9 that we're going to follow throughout the
 10 hearing. But, I think I'll dispense with that
 11 this morning, I think, unless do we have any
 12 public or media here? No, okay. I think most
 13 people here would know the process that we'll
 14 follow and what the Board is generally
 15 mandated to do.
 16 There are a few housekeeping matters that
 17 I'll just review with you. All the
 18 documentation, including the daily
 19 transcripts, for this hearing will be
 20 available throughout the course of the hearing
 21 on our website and our currently there. I
 22 guess, the parties, anybody who has any
 23 particular concerns about the creature
 24 comforts in the room, you should bring those
 25 to the attention of the Board. It is a little

Page 5

1 bit warm here this morning, I think, and
 2 hopefully over the course of the morning, that
 3 will--I think we have the thermostat down as
 4 far as it'll go and hopefully that'll
 5 dissipate. If anybody gets too overcome,
 6 we'll just have to take a little break perhaps
 7 before schedule.

8 These proceedings are being recorded by
 9 Discoveries Unlimited under the auspices of
 10 Ms. Judy Moss and we will have the
 11 transcriptions available upon completion of
 12 the hearing and in advance of the start of the
 13 hearing of the following day. I guess we're
 14 proceeding on Monday, so we'll have those,
 15 Judy, sometimes over the weekend, so that
 16 people will have the opportunity to review
 17 those. The normal daily sitting time will be
 18 from 9 to 1:30 for this hearing, with a half-
 19 hour break from 11 to 11:30 and I would ask
 20 you if you could adhere to those times as much
 21 as possible, please. I understand the witness
 22 today is not available next week and if
 23 indeed, I guess, we need to go a little bit
 24 longer, we'll do that today, if everybody's in
 25 general agreement with that.

Page 7

1 Q. Good morning, Mr. Chairman, Vice-Chair. I can
 2 confirm that an application was received from
 3 Newfoundland and Labrador Hydro on January
 4 20th, 2006, the application which you've
 5 already referenced. It was an application
 6 seeking approval of the cost of low sulphur
 7 fuel as a fuel cost component to be recovered
 8 through the Rate Stabilization Plan charged to
 9 Newfoundland Power and the Island Industrial
 10 Customers, and it was filed pursuant to
 11 Section 71 of the Public Utilities Act. The
 12 Board did publish notice, beginning on May
 13 18th, throughout the Province in several
 14 newspapers, and in response to the notice and
 15 in fact, in advance of the notice, we did
 16 receive three intervenor submissions, from
 17 Newfoundland Power, the Industrial Customers
 18 and the Consumer Advocate, all of whom are
 19 represented today.

20 In addition, there have been an exchange
 21 of information requests and documents and all
 22 outstanding information requests have been
 23 responded to. I understand that there's no
 24 preliminary matters and we're ready to
 25 proceed.

Page 6

1 For the purposes of referring to Ms.
 2 Whalen and myself, just for the transcription,
 3 either call us by name or Chair and Vice-Chair
 4 would be fine. You have your designated
 5 assigned seating arrangements and for the
 6 purposes of the witness, the witness stand
 7 would be over here to my right, and our
 8 witness may swear an oath on the Bible or
 9 certainly solemn affirmation may be
 10 administered, and indeed, if there's any other
 11 oath that may be appropriate or necessary, if
 12 you could just let the Board Secretary know,
 13 we'll try and accommodate that as well
 14 throughout the hearing. That's about it for
 15 me.

16 In summary, I want to commend you all for
 17 the work that you've undertaken in preparing
 18 for the hearing. I'd ask for your cooperation
 19 throughout it and I look forward to a
 20 productive hearing. I'll ask Ms. Newman now
 21 if she could enter the matter and confirm the
 22 issuance of the public notice and advise of
 23 any other preliminary matters. Good morning,
 24 Ms. Newman.
 25 MS. NEWMAN:

Page 8

1 CHAIRMAN:
 2 Q. Thank you, Ms. Newman. Good morning, Mr.
 3 Young. I understand you have an opening
 4 statement.
 5 MR. YOUNG:
 6 Q. I do. Thank you, Chair. And before I start
 7 that even, I would like to thank the Board.
 8 The clerk of the Board and I have been working
 9 with some difficulties trying to arrange two
 10 dates or two days for this hearing. We had
 11 some limitations in our scheduling and both
 12 the Board expressed to us a concern as to
 13 getting this hearing done and we were very
 14 pleased to have that. I only raise that
 15 because I think ideally in a situation like
 16 this with a technical matter, it would have
 17 been a perfect opportunity to impanel a couple
 18 of witnesses and that wasn't a possibility,
 19 and I hope that--it's also a normal practice,
 20 I think it's fair to say, to have a policy
 21 witness go first, followed by the technical,
 22 and we've had to reverse that. So that's why
 23 Mr. Ricketts is appearing today alone, as
 24 opposed to putting two witnesses alone or
 25 perhaps Mr. Haynes, the Vice-President, on

Page 9

1 first.

2 By way of opening statement, this of

3 course is an application whereby Hydro has

4 applied to recover through its Rate

5 Stabilization Plan, which is the way it

6 recovers fuel costs, costs in relation to one

7 percent sulphur No. 6 fuel to be consumed at

8 the Holyrood Thermal Generating Station. The

9 Holyrood Generating Station, as this Board is

10 only too aware, is a very significant

11 generator of energy for the Island

12 Interconnected system. It's relied upon for

13 some 465 megawatts of net capacity and

14 typically generates between a quarter and a

15 third of Hydro's Island Interconnected energy.

16 The implications of the level of thermal

17 generation are well known to all present in

18 this hearing room today. At current fuel

19 prices, this generation source is very costly

20 and these costs must be recovered from Hydro's

21 utility, industrial and distribution customers

22 on the island.

23 But aside from the costs impacts, there's

24 also a very considerable environmental impact

25 from the Holyrood Generating Station in the

Page 11

1 strategically situated around the Holyrood

2 Thermal Generating Station so as to measure

3 the emissions in a meaningful way.

4 Information obtained from these air monitoring

5 stations are used in conjunction with

6 information obtained from stack emission

7 testing and dispersion modelling. Now based

8 upon the information Hydro has received from

9 the Department of Environment and Conservation

10 that the Holyrood Generating Station was

11 emitting sulphur dioxide in amounts in excess

12 of those amounts permitted by law, Hydro took

13 action to reduce those emissions so it would

14 be able to operate within the law. Besides

15 dramatically reducing the production of energy

16 from the Holyrood generating station, which is

17 not an option in the foreseeable future, Hydro

18 has only two means available to it to reduce

19 its emissions so that it can come within the

20 legislated limits. It can retrofit the plant

21 with equipment that scrubs or otherwise

22 removes the emissions before they escape the

23 plant, or it can use fuels that produce less

24 emissions.

25 The option of retrofitting the Holyrood

Page 10

1 form of emissions to the atmosphere and there

2 are limits under applicable law as to how much

3 Hydro is permitted to emit. These limits are

4 set out in the Air Pollution Control

5 Regulations, 2004, made pursuant to the

6 Environmental Protection Act. Hydro has been

7 informed by officials in the Department of

8 Environment and Conservation that its Holyrood

9 Generating Station emissions exceed permitted

10 levels. These determinations were made based

11 upon a rather elaborate set of computer models

12 that predict maximum pollution levels that

13 would occur under certain conditions. These

14 processes are set out in detail in the

15 Guidance Documents, many of which were filed

16 very recently with the Board, last couple of

17 days.

18 Measuring and predicting air pollution

19 emissions is a rather complicated science, and

20 I think that will become clear. Besides the

21 computer modelling methods, it also involves a

22 measurement of emissions by sophisticated air

23 monitoring equipment. Hydro has in the fairly

24 recent past added a fifth air monitoring

25 station to its network of stations that are

Page 12

1 Station with flue gas desulphurization and

2 electrostatic precipitator equipment, and

3 they're commonly referred to in literature as

4 FGD and ESP equipment, this was considered and

5 compared with the option of switching to a

6 fuel with a lower sulphur content. The

7 disadvantages of installing FGD and ESP

8 equipment are twofold. The first is that they

9 come with a very high sticker price. And the

10 second is that once the capital investment has

11 been spent, the carrying costs associated with

12 them, which have to be recovered from rate

13 payers, are there to stay for a long time.

14 And should Hydro be able to acquire natural

15 gas to fuel the thermal station or should in

16 some time a transmission in-feed from Labrador

17 become available, this will have been a waste

18 of rate payers' monies. So using cleaning fuel

19 for the Holyrood Generating Station is the

20 least costly option and it has the important

21 advantage of being immediately responsive to a

22 conversion to natural gas or to a transmission

23 in-feed scenario.

24 Choosing one percent sulphur instead of

25 some lower or higher sulphur level was a

Page 13

1 decision made by Hydro after considering the
 2 level of emission reduction required to meet
 3 the legal limits. It is not a certainty that
 4 one percent sulphur will provide enough of a
 5 reduction in sulphur dioxide emissions to
 6 satisfy the legal requirements, but it is a
 7 substantial reduction and further testing and
 8 modelling will determine whether or not it is
 9 sufficient.

10 Hydro is obliged by the legislation that
 11 governs the regulatory processes carried out
 12 by this Board to provide least cost power
 13 consistent with safe and reliable service.
 14 Under the Environmental Protection Act, the
 15 Minister can issue a stop work order if
 16 operations are carried out in violation of the
 17 Act or a violation of certificate approval
 18 issued under that Act. Ensuring that Hydro
 19 operates within the applicable environmental
 20 legislation is therefore wholly consistent
 21 with the Board's duty to require and ensure
 22 that Hydro provides reliable service.

23 We'd also point out under Section 16 of
 24 the Public Utilities Act, and this is the
 25 general supervision section, the Board has the

Page 15

1 no other opening comments or remarks. That's
 2 my understanding. Okay. If you could
 3 introduce your witness, Mr. Young, please.

4 MR. YOUNG:
 5 Q. Thank you, Chair. This is Mr. Frank Ricketts.
 6 He's our Manager of Environmental Science. I
 7 ask that he be sworn.

8 CHAIRMAN:
 9 Q. Good morning, Mr. Ricketts, and welcome.

10 MR. FRANK RICKETTS, SWORN

11 CHAIRMAN:
 12 Q. Thank you. When you're ready, Mr. Young.

13 MR. YOUNG:
 14 Q. Thank you. Mr. Ricketts, I think I properly--
 15 or I improperly introduced you then. You're
 16 the Manager of Environmental Services, is that
 17 right?

18 A. That's correct.

19 Q. I think I said science, apologize. As the
 20 first matter, Mr. Ricketts, there's been
 21 evidence pre-filed by Hydro in your name. Do
 22 you adopt that evidence as your sworn
 23 testimony?

24 A. I do.

25 Q. Thank you. Mr. Ricketts, much of the material

Page 14

1 duty to ensure that Hydro operates within the
 2 law. By reducing the sulphur content of its
 3 fuel to one percent instead of the present two
 4 percent, Hydro is reasonably confident that it
 5 will be operating within the law. Hydro is
 6 also confident that choosing one percent
 7 sulphur fuel is conservative and prudent and
 8 respects least cost principles.

9 In summation, Hydro is required to
 10 operate within the law and it is entitled to
 11 recover the expenses it incurs that are
 12 prudently incurred for those purposes. Thank
 13 you, Chair, and we'd like to put Mr. Ricketts
 14 on the stand now at this time, please.

15 CHAIRMAN:
 16 Q. Sure.

17 MR. YOUNG:
 18 Q. And I have a few questions aside from the pre-
 19 filed testimony. I would add that I have a
 20 few questions in direct, largely arising from
 21 the recent RFIs we've received and we've
 22 identified some areas where I think the record
 23 could be a bit more thoroughly dealt with.

24 CHAIRMAN:
 25 Q. Thank you, Mr. Young. I understand there are

Page 16

1 before the Board, and you're familiar with it,
 2 I'm sure, deals with dispersion modelling for
 3 the purposes of determining emission
 4 compliance. Can you briefly explain how this
 5 process works and to what purposes that
 6 process is put by the Department of
 7 Environment and Conservation?

8 (9:18 a.m.)

9 A. Okay. Air pollution dispersion modelling is a
 10 set of models that bring together mathematical
 11 logarithms to determine the fate of emissions
 12 from either a source, a point source or area
 13 sources. There are different models that can
 14 be used for different approaches. The
 15 Department of Environment and Conservation of
 16 the Province has stipulated that a particular,
 17 CALPUFF model, be used in relation to the
 18 Holyrood Thermal Generating Station's
 19 emissions. It's considered the most
 20 appropriate model for that type of facility.
 21 And essentially what the--there are a number
 22 of factors that the model considers and
 23 extrapolates on a mathematical basis through a
 24 set of logarithms. The inputs include the
 25 emission rates for the pollutants of concern

Page 17

1 and those are input to the model on an hourly
 2 basis. So for every hour of output from the
 3 plant, an emission rate for the pollutant
 4 concern is input. That then the gas flow
 5 coming out of the plant is stipulated in terms
 6 of the flow rate of the gas coming out of the
 7 plant and the flow temperature coming out of
 8 the stacks. Those influence the momentum of
 9 the gas as it leaves the--exits the stacks and
 10 determines, to some extent, the height at
 11 which the gas will reach before it starts to
 12 disperse within the air column. After you've
 13 input the factors related to the plant,
 14 there's also the building dimensions
 15 surrounding a facility are input into the
 16 model to determine whether there's a downwash
 17 from the building. As the air flows across
 18 the building there is normally a downwash and
 19 you have to determine whether that's a factor
 20 influencing the ultimate dispersion and what
 21 you're trying to calculate is the ground level
 22 concentrations associated with the emissions
 23 from the stacks. Once the emissions
 24 information is input, you also input an hourly
 25 meteorological condition file for the period

Page 19

1 unstable situation.
 2 And the modelling basically takes the gas
 3 as it's emitted and calculates a dispersion of
 4 that on the basis of three dimensions, the
 5 height, the width, and the depth of it, and
 6 then predicts on the basis of the air flow
 7 where that gas that's emitted is going to
 8 eventually end and it recalculates on every
 9 hour of emission and recalculates on every
 10 change in the weather pattern or the
 11 atmospheric conditions that are there.
 12 It also includes a--you have to input the
 13 terrain features that are around the location
 14 of the source to whatever dimension or, I
 15 guess, boundary is appropriate. That's also
 16 influential because if you have high terrain
 17 that increases the height of the ground at
 18 which the ground level concentration has to be
 19 calculated. Hills and other features will
 20 also--it will also calculate the dispersion of
 21 the gas around that feature, both its
 22 concentration as it impacts on the feature and
 23 then as it moves around the feature, what type
 24 of diminishing or dispersion of the gas flow
 25 will occur as a result of that.

Page 18

1 that you're modelling. Normally you model for
 2 a minimum of a year, but more if you have that
 3 capability. And so for every hour of output
 4 in that year, there is an emission rate from
 5 the plant, the gas flow and the meteorological
 6 conditions at the time.
 7 The meteorological conditions include,
 8 the most important factors are the wind speed
 9 and the wind direction. The stability of the
 10 atmosphere, and that's very influential on the
 11 eventual outcome of how the air disperses and
 12 the gases disperse in that you can have a low-
 13 a highly stable atmosphere with very little
 14 mixing of the air in the up and down movement
 15 of the air column or you can have a very
 16 highly unstable air atmospheric condition with
 17 a lot of mixing up and down in the air, and
 18 that will bring the gases down to ground level
 19 much more quickly, therefore increasing the
 20 concentration because they haven't had the
 21 opportunity to disperse in the air column.
 22 And the model--or you can have what they call
 23 a neutral stability, atmospheric stability,
 24 and that has some level of mixing within the
 25 air column, but not as much as a highly

Page 20

1 The landform or, sorry, the land use in
 2 the area is also very influential. One of the
 3 calculations relates to the friction of the
 4 air as it moves across the land, and that
 5 changes as a result of the different land
 6 uses. So an urban area will have a lot more
 7 friction and will slow the wind a little bit
 8 as it moves across an urban area, more than a
 9 rural landscape, for example.
 10 Also an important factor why the CALPUFF
 11 model is determined as most useable by the
 12 Department of Environment and Conservation in
 13 this case is the land sea interface. Where
 14 you have a coastal environment, you have
 15 different wind patterns that are daily
 16 occurring as a result of that. The wind will
 17 move from the sea to the land at points in
 18 times in the day and from the land to the sea
 19 based on the differential heating from the sun
 20 of the land as opposed to the water, which
 21 have different heat rates, and you'll get wind
 22 movement as a result of that change in
 23 temperature. That's also factored into the
 24 logarithms or the mathematical calculations of
 25 the model.

Page 21

1 So the model is run over a period of time
 2 for each hour of each day and eventually
 3 calculates for receptor points and you
 4 normally set up a receptor grid with a
 5 boundary of the outside area that you're
 6 calculating for and within that point, you'll
 7 normally have a finer grid pattern, closer to
 8 your source, gradually extending out and
 9 widening out as you get away from your source.
 10 So you may look at a 50-metre or 100-metre
 11 spacing of your receptor points and these are
 12 the points close to the source and wider as
 13 you move away from the source. These are the
 14 actual points that the model will use to
 15 calculate for each point, each hour that
 16 you're modelling for, what the ground level
 17 concentration is expected to be or projected
 18 to be at that particular point. So the output
 19 will be a series of spreadsheets for each
 20 point for each hour of the period model what
 21 the maximum ground level concentration was
 22 calculated to be for that point. And it's
 23 capable then of expanding those to what are
 24 called isopleths. It's kind of like the
 25 isobars on a weather pattern map that you can

Page 23

1 ground and result in greater concentration so
 2 that's one of the factors that's also included
 3 in that.
 4 I think I've touched on the majority of
 5 the factors that are influential on it, and
 6 the reason why CALPUFF is used.
 7 Q. I don't know if Mr. Hutchings remembers his
 8 days on Reach the Top. I'm not sure he'd
 9 refer to that as a short snapper, but thank
 10 you. Now the other part of the process which
 11 is described in the filing, in some detail, is
 12 the ambient air monitoring process that Hydro
 13 undertakes. Can you describe what that is and
 14 perhaps you can start with describing what an
 15 air monitoring station is, what it looks like
 16 and what it does?
 17 A. Ambient air monitoring stations are set up to
 18 record--to sample the air at a particular
 19 location continuously and record over a period
 20 of time the concentrations that are present at
 21 that particular location. Analyzers within
 22 the set up draw in the air and route it
 23 through an analyzer that basically determines
 24 an output of the concentration within the air
 25 of the particular pollutant. We are set up as

Page 22

1 map that and determine the grid of the
 2 concentrations within particular areas.
 3 Just one of the factors that's
 4 influential on the dispersion that's included
 5 in the modelling and it relates to the land
 6 sea interface, it also relates to the
 7 atmospheric conditions, is what's called a
 8 boundary layer in the atmosphere. As the air--
 9 normally the temperature diminishes as you
 10 rise, as the air column rises, to a certain
 11 point at which it stabilizes for a period and
 12 then also it will diminish again after that.
 13 (9:30 a.m.)
 14 But at that boundary layer, that point in
 15 the air column, whatever height that occurs,
 16 there is a stabilization of the temperature,
 17 the air temperature at that and normally the
 18 emissions will rise to that level and will
 19 stop there. So that's what will set a cap on
 20 and the emissions will periodically bounce off
 21 that and come down. So that's used as part of
 22 the calculation as well and if you have a
 23 boundary layer that's low to the ground that
 24 will diminish, that will result in a
 25 compression of the gases down closer to the

Page 24

1 sulphur dioxide, nitrogen oxides, total
 2 suspended particulate matter and fine
 3 particulate matter, PM 2.5, 2.5 micron
 4 particulate matter analyzer capabilities
 5 within those. The analyzers themselves are--
 6 have to be quality controlled. So there's a
 7 detailed process for calibration and
 8 monitoring of those analyzers themselves as
 9 well. They have to be temperature controlled
 10 because they operate within a range of
 11 environmental conditions. So a set up has to
 12 have the capability of environmental controls
 13 within it, and normally it's a small building
 14 that you would construct or a trailer that you
 15 would retrofit to be able to have appropriate
 16 environmental controls within it for the
 17 analyzers. It has to be set up such that the
 18 air flow in and around the area is not
 19 hampered in any way. So there is a need to
 20 set it up in open areas where you don't have
 21 obstructions in close proximity to it, and
 22 there are set guidelines for that.
 23 It has to have an adequate power and
 24 reliable power source because the analyzers
 25 are electrical pieces of equipment that draw

Page 25

1 in the air, go through a chemical process of
 2 determination or chemical luminescence process
 3 normally of determination of what the
 4 concentration of the pollutant is in the air
 5 and they have to be--the reliability of the
 6 power is one of the quality control factors.
 7 It can't have spiking or lows or highs to it.
 8 So in most cases you'd look to have an
 9 electrical source available and alternately
 10 you could have, you know, a diesel generation
 11 source or something like that specific to it,
 12 but that becomes rather complicated in trying
 13 to ensure that you don't have pollutants from
 14 your diesel generator influencing your
 15 monitors and that the reliability of the power
 16 is there. You can have, you know, alternate
 17 sources but they all have to have a level of
 18 reliability to them.
 19 You have to have appropriate access in
 20 order to be able to ensure inspection on a
 21 quality control basis. So normally it has to
 22 be weekly inspection at a minimum with
 23 calibration quarterly of that, and auditing at
 24 least annually of that. So an outside auditor
 25 will come in and audit that in order for

Page 27

1 Environment and Conservation. Again, it was a
 2 US EPA stipulated model of the day. There
 3 were two models actually, ISCST, industrial
 4 source complex models, and a complex terrain
 5 model, because we do have complex terrain in
 6 the area. We have high hills and mountains
 7 and that. They predicted ground level
 8 concentrations, maximum ground level
 9 concentrations at particular points that were
 10 associated with high terrain features in the
 11 local area. So we have--it was problematic to
 12 try and set up monitors at those particular
 13 locations because the high terrain features
 14 made access very much a problem. Power source
 15 was a problem. So we, in discussions with the
 16 Department of Environment and Conservation,
 17 agreed upon four particular sites that were
 18 representative of the local area. We're close
 19 to residential areas, but we're also close to
 20 the maximum ground level concentration areas
 21 that were predicted by the models. So there
 22 was a bit of a trade-off on the locations, but
 23 there is--you can't always get an ideal
 24 locations and always locate in the areas of
 25 the maximum ground level concentrations.

Page 26

1 quality control purposes to ensure that your
 2 data is true and accurate.
 3 Q. Mr. Ricketts, you mentioned earlier that the
 4 emission modelling process identifies a large
 5 number of points on a grid, and you were also
 6 describing the air monitoring stations. How
 7 many air monitoring stations do we have in the
 8 Holyrood area?
 9 A. We have five at present. We had operated four
 10 locations since 1992, I believe it was, and we
 11 put in a fifth location in late 2003, early
 12 2004. The data from that has been quality
 13 controlled since about late 2004. So we've
 14 been getting acceptable data from that for
 15 that period.
 16 Q. So I take it from that that you don't have an
 17 air monitoring station in each of those
 18 particular locations where the computer
 19 modelling identifies -
 20 A. No, we use the--the original set up of the
 21 four monitoring sites was based on modelling
 22 that we did back in 1992 to identify and that
 23 model set up was not the same set up or the
 24 same model that is being used today. That was
 25 a model process approved by the Department of

Page 28

1 The fifth site was set up more recently
 2 and that came out of two things really. It
 3 was the--we did have complaints from residents
 4 in the local area that said "we are smelling,
 5 we can see it. We can see it down in our
 6 area. We can smell it. We can taste it.
 7 There's something happening that your models
 8 aren't predicting and that your monitoring may
 9 not be picking up." We did set up a temporary
 10 monitoring site at a particular location as a
 11 result of that. We did record some levels that
 12 were higher than we had been seeing at other
 13 monitoring sites and we made the decision to
 14 put in the fifth monitoring location at that
 15 particular site then following that, and
 16 that's been in place for a little over a year
 17 now.
 18 Q. To your knowledge, with other utilities or
 19 industries in Atlantic Canada, how does
 20 Holyrood compare when it comes to the air
 21 modelling--the air monitoring activities?
 22 A. We've got really a much more intricate grid of
 23 monitoring than the other utilities in the
 24 other Atlantic Provinces that I'm aware of.
 25 I've been in contact with other utility

Page 29

1 environmental managers and have travelled to
 2 some of their sites, and typically they'd have
 3 one or two sites in the community surrounding
 4 their area or in adjacent areas and that, and
 5 that's about it. But they do have some more
 6 intricate modelling processes at times. I
 7 relate to St. John, New Brunswick where they
 8 get their main concern--although they have a
 9 couple of power plants in and around the city,
 10 their main concern is with the pollution that
 11 comes in from away, from the northeast States,
 12 and they have a method of modelling that
 13 includes incorporation of the air flow,
 14 greater air shed air flow from the whole of
 15 the Eastern Seaboard and when they predict
 16 that the pollutant levels are going to be a
 17 concern there as a result of the inflows from
 18 outside air, then they move that into--that
 19 can capture that in their overall modelling
 20 process and they actually regulate their
 21 operations of the local sources, including the
 22 power plants, in order to accommodate that, to
 23 reduce their output to accommodate that. But
 24 in terms of actual monitoring locations, we've
 25 got the most extensive monitoring that I'm

Page 31

1 compliance monitoring or the ambient air
 2 monitoring set up that we've had is intended
 3 to give an overall awareness of the level of
 4 the pollutants in the ambient air in the
 5 surrounding area. They're not meant to be
 6 portrayals of worst case situations at
 7 particular points.
 8 Q. So is there a way that these results, these
 9 different results can be reconciled or
 10 compared and does one take preference or
 11 precedence over another?
 12 A. One doesn't necessarily take precedence over
 13 the other. Certainly from the regulatory
 14 perspective, and this is true with the
 15 Department of Environment and Conservation,
 16 how they apply it, and true with other
 17 jurisdictions, how they apply it. If the
 18 models shows the potential for exceedances or
 19 of ground level concentrations, they consider
 20 that to be indication of exceedances, of non-
 21 compliance. If the monitors don't show that,
 22 then that's not evidence necessarily of full
 23 compliance because they may not be in the
 24 location that's specific to the meteorological
 25 condition of the time. They can be--you can

Page 30

1 aware of in Atlantic Canada associated with
 2 Holyrood.
 3 Q. Does the network you have of air monitoring
 4 stations and the dispersion modelling
 5 information you have access to, does it give
 6 you the same results when you try to compare
 7 them, you know, over a period of time?
 8 A. No, not necessarily. As indicated, the model
 9 predicts the ground level concentrations over
 10 a full area whereas your monitors are set up
 11 in particular locations, and sometimes it
 12 doesn't take--the variability of the
 13 meteorological conditions has to be considered
 14 there. It doesn't take a large degree of
 15 variance on a wind direction to move the air
 16 column or the pollutant one way or another.
 17 If it comes--especially if it's coming down to
 18 ground level, in close to your facility,
 19 because it hasn't dispersed greatly in the air
 20 column before it's brought down to ground
 21 level and it's particularly focused and the
 22 wind direction is important. Then what
 23 particular site gets hit, gets the most
 24 impact.
 25 The monitors are intended really, the

Page 32

1 overtime compare the two and try to
 2 rationalize what the model is showing as the
 3 worst case at your actual monitoring site and
 4 pro rate that against the levels that you have
 5 been detecting at your monitoring site and
 6 fine tune your interpretation of the model
 7 that way by saying "let's apply that ratio,
 8 that same ratio, to the ratio at the high
 9 concentration site that the model is
 10 indicating" and the Department of Environment
 11 has included that in their guidance that that
 12 can be done over time to look at that.
 13 Q. I wonder if you can speak briefly about the
 14 significance of a single exceedance or an
 15 exceedance, or I suppose, a smaller or larger
 16 exceedance over a period of time? I wonder if
 17 you can explain to the Board, from your
 18 understanding, how the Department or how
 19 generally in the environmental science treats
 20 an exceedance which may appear to someone to
 21 be rare, maybe just a couple of hours a year,
 22 maybe that's many more hours a year? How do
 23 these fit on a scale?
 24 A. Well, you have to realize that especially if
 25 it's at a monitoring site, if you're picking

Page 33

1 up a monitor site, that's one exceedance at a
 2 particular location. So you have--unless you
 3 have, you know, a monitoring set up that's
 4 very extensive and applies to all of the areas
 5 and different types of terrain features and
 6 the prevailing condition, meteorological
 7 condition at the time, you're not going to
 8 have any assurance that you're picking up the
 9 worst case. So the fact that a monitoring
 10 location has the--picks up an exceedance means
 11 that there may well be other areas that are
 12 showing exceedances as well that you're not
 13 detecting that at. As well, I guess,
 14 Newfoundland and Labrador, no different from
 15 other provinces, has adopted the 900
 16 micrograms per cubic metre as the regulatory
 17 limit for one hour for sulphur dioxide, and
 18 they do have other levels for three hours and
 19 for 24 hour and for annual regulatory limits
 20 on those. Those are similar to the limits
 21 that are set in other provinces. But the
 22 Canadian Council of Ministers of Environment
 23 have identified as standard, I guess, for
 24 Canadian ambient air quality that they
 25 recommend and 900 is the maximum acceptable

Page 35

1 sulphur dioxide and goes out the stack, unless
 2 there's capture technology associated with
 3 your facility. So it will have basically
 4 result in 50 percent reduction in the emission
 5 rate.
 6 The emission rate is part of that
 7 calculation and one of the factors that goes
 8 into your dispersion modelling. It has a
 9 direct effect on the ground level
 10 concentration as a result of that. It's one
 11 of the factors. But the other factors can be
 12 influential, I guess, and you have to use
 13 those in interpreting. That you've had a
 14 halving of the emission rate doesn't
 15 necessarily mean that, in all cases, all
 16 meteorological conditions, your ground level
 17 concentration is going to be halved. You may
 18 not have modelled your worst case
 19 meteorological condition. If meteorological
 20 and climatic conditions are changing or if
 21 meteorological conditions are variable in an
 22 area, it depends to some extent on that, but
 23 you can accept that your actual emission rate
 24 has halved and that will have a direct effect
 25 on if you look back at your calculated ground

Page 34

1 limit that they've recommended. But the
 2 maximum desirable limit that they've
 3 stipulated is 450. So it's half the 900. So
 4 essentially what they're saying is 900 is not
 5 what you should be bumping up against. 900
 6 should be the level that shows you that you've
 7 got concern in general there. And so the 900,
 8 as regulatory limit, is not something that you
 9 strive to achieve. It's something that you
 10 strive to be below, I guess, as a--if you're
 11 intending to assure yourself that you're in
 12 compliance on a regular and routine basis.
 13 Q. As you're aware, of course, Hydro has switched
 14 to one percent sulphur. What effect will this
 15 have on the sulphur dioxide emissions at
 16 Holyrood?
 17 A. The percentage of sulphur content in fuel has
 18 a direct relationship to the emission rate.
 19 So where we have been burning two percent
 20 sulphur fuel, in essence moving to one percent
 21 sulphur fuel will half the emission rate. It's
 22 not necessarily completely half, because some
 23 of the sulphur does switch to sulphur
 24 trioxides as well, but in general, it's
 25 accepted that 95 to 98 percent is converted to

Page 36

1 level concentrations, you can basically say
 2 that those, you would think of were halved.
 3 If the same meteorological conditions were
 4 occurring at the time, they should be halved.
 5 (9:45 a.m.)
 6 Q. Mr. Ricketts, do you expect this switch to one
 7 percent fuel to enable Hydro to come within
 8 the compliant range as determined by the
 9 regulations?
 10 A. We have, you know, reasonable expectation that
 11 it will. I can't give you an firm assurance
 12 that it will because the use of the modelling
 13 as a determinant for compliance, as I said,
 14 the influence of the meteorological conditions
 15 is always there. And so reducing--the
 16 modelling that we have done shows that the
 17 frequency of potential non-compliances is
 18 relatively low. So that means that your
 19 association of meteorological conditions with
 20 your emission rate at the time that gives you
 21 those ground level concentrations in excess.
 22 Although they spread over a significant area,
 23 the frequency at which that is occurring is
 24 low. So you have to put those two factors
 25 together, and we're not always emitting at the

Page 37

1 highest load obviously so the emission rate,
 2 if it's dropped by 50 percent because of the
 3 sulphur content and at the particular time
 4 that the meteorological conditions occur,
 5 you're also not generating at your highest
 6 load, then you may not. The model, when you
 7 model that process, it may not show non-
 8 compliance, but it's possible that it could.
 9 We have high hopes because of the--and
 10 expectations with the low frequency that we've
 11 seen it in the past, that it could lead to
 12 compliance as well.
 13 Q. Thank you, Mr. Ricketts. Those are the only
 14 questions on direct, Chair.
 15 CHAIRMAN:
 16 Q. Thank you, Mr. Young. Mr. Hutchings, will you
 17 be undertaking to cross Mr. Ricketts?
 18 HUTCHINGS, Q.C.:
 19 Q. I will, Mr. Chair, and just for the
 20 information of the Board, Mr. Coxworthy will
 21 be dealing with the cross-examination of Mr.
 22 Haynes when he takes the stand.
 23 CHAIRMAN:
 24 Q. Thank you.
 25 HUTCHINGS, Q.C.:

Page 39

1 auditing mandate requirements. We have a
 2 compliance monitoring or compliance auditing
 3 process and program within Newfoundland and
 4 Labrador Hydro, and we manage and implement
 5 that program. We have an environmental
 6 management system within Newfoundland and
 7 Labrador Hydro that's ISO 14001 registered and
 8 certified, and our department and myself as
 9 manager is responsible for management of the
 10 implementation of that throughout the
 11 corporation, although each individual that we
 12 have ourselves divided into four--sorry, six
 13 management areas and they have autonomous
 14 responsibility for implementation of the
 15 environmental management systems within their
 16 areas but we, our department is responsible
 17 for the coordination of the corporate
 18 environmental management system which provides
 19 guidance to all the others and direction to
 20 all the others.
 21 We have responsibility for issues
 22 tracking, legislation--tracking legislation
 23 and emerging issues related to environmental
 24 concerns and advising our senior leadership
 25 team and the Board of areas that are coming to

Page 38

1 Q. Good morning again, Mr. Ricketts.
 2 A. Good morning.
 3 Q. I just want to start off by getting a little
 4 bit better feel for your duties and functions
 5 as Manager of Environmental Services. I
 6 understand you've had that position in Hydro
 7 since 1995. Is that correct?
 8 A. That's correct.
 9 Q. And how would you describe your duties in that
 10 job?
 11 A. We have a department that has four ecologist
 12 positions, two environmental coordinator
 13 positions and a manager's position. I'm
 14 responsible for the management of the section,
 15 so that one of the duties is the management of
 16 the personnel that are within it. Our mandate
 17 or role within the Corporation is
 18 multifunctional, I guess. We have
 19 responsibility for reporting, environmental
 20 performance reporting, both to the general
 21 public, to the Government agencies that
 22 require it, and internally within the company,
 23 we manage the reporting of environmental
 24 performance, collection of data, transfer of
 25 information that way. We have environmental

Page 40

1 a fore in terms of environmental compliance
 2 requirements or things and issues that may
 3 affect our operations. We provide service to
 4 the line departments, our regulated business
 5 departments and our new business development
 6 departments related to addressing the
 7 environmental issues that arise within their
 8 operations and their activities. So we manage
 9 the identification of environmental protection
 10 requirements associated with them,
 11 environmental monitoring requirements
 12 associated with their activities. They may
 13 well, and normally we'll try to have them
 14 implement those particular elements of
 15 environmental protection or environmental
 16 monitoring, but we provide them with advice
 17 and assistance.
 18 We have a responsibility for identifying
 19 and recommending to our senior leadership
 20 team, areas of environmental standards that
 21 the Corporation should adopt, that may be
 22 outside of the strict requirements of
 23 regulation and legislation but, for example,
 24 there are Federal guidelines that relate to
 25 our activities and our facilities and we would

Page 41

1 provide advice to our senior leadership team
 2 and our managers related to the adoption of
 3 those types of standards that are out there.
 4 I think that's the breadth, fair amount of the
 5 breadth of it.
 6 Q. All right. So within the corporate structure,
 7 as a manager of environmental services, to
 8 whom do you report?
 9 A. I report to the Vice-President of Human
 10 Resources and Organizational Effectiveness,
 11 Mr. Gerard McDonald.
 12 Q. I think that's a new title, since I was here
 13 last.
 14 A. That's right. We have reorganized.
 15 Q. All right. So in terms of the role of your
 16 group as it relates to environmental
 17 legislation and regulation, in your pre-filed
 18 testimony you say you're a member of the team
 19 that's responsible for ensuring that so far as
 20 possible Hydro is compliant with applicable
 21 legislation and regulation. From what you've
 22 just said, I guess, your group may have a
 23 tendency to make recommendations that would
 24 actually go beyond that into additional
 25 measures beyond what are actually required by

Page 43

1 do look for areas that you can improve your
 2 operations to minimize environmental impact
 3 overall and the effect in the long term that
 4 you will have, yes.
 5 Q. But it's not possible, I guess, to operate in
 6 that area without realizing that everything
 7 you do in that respect is going to involve a
 8 cost?
 9 A. Some of it is cost based. Well, I mean, most
 10 obvious thing is if you were recommending
 11 that, you know, we take an implementation of a
 12 new technology or something like that to
 13 reduce things. But a lot of it is
 14 procedurally based, how you do your business,
 15 how the people that are out there operating
 16 your facilities do things procedural wise to
 17 try and minimize the impact that you have. So
 18 you may set in place mechanisms to better
 19 record and report on actual activities to
 20 identify impacts that you may not have been
 21 aware of before or to control their activities
 22 and limit those impacts.
 23 Q. Is it fair to say that the presentation that
 24 you're putting before the Board today is based
 25 upon the notion that the additional

Page 42

1 the legislation and regulations? Is that--am
 2 I taking that correctly from what you're
 3 saying?
 4 A. On occasion, we may identify those areas that
 5 would be worthwhile for the Corporation to
 6 move in terms of a standard and recommend to
 7 the senior leadership team and managers
 8 related to the adoption of those. It's not our
 9 role to make that decision as to whether they
 10 should be adopted or not and there are other
 11 departments that have to be consulted related
 12 to the effect of those and the implementation
 13 of those.
 14 Q. And I think, you know, just on a very broad
 15 and general level, we'd have to recognize that
 16 there are generally costs associated with
 17 those types of initiatives to the extent--
 18 well, even to get to the level of compliance
 19 with legislation and beyond that, there is
 20 still a cost associated with, you know, an
 21 even more better--an even better practice.
 22 A. Yes, it is. You have to recognize, I guess,
 23 that the environmental management system that
 24 we implement as well has a factor of continual
 25 improvement associated with that, and so you

Page 44

1 expenditures associated with this proposal are
 2 required in order to be compliant with the
 3 law?
 4 A. Yes.
 5 Q. Okay, all right. So we don't need to
 6 consider, for the purposes of these
 7 proceedings, whether or not you're going
 8 beyond what's necessary. All you're proposing
 9 is to get yourselves into compliance?
 10 A. That's the intent of this action, yes.
 11 Q. Yes, okay. Now the report that's been
 12 produced from SENES Consultants Limited and
 13 which uses this CALPUFF program and so on that
 14 you've been talking about is a report that was
 15 prepared in October of 2005. What similar
 16 reports to that have been produced
 17 historically with respect to Holyrood?
 18 MS. NEWMAN:
 19 Q. Just so we make sure everybody has that
 20 reference, is that IC--provided in response to
 21 IC-1?
 22 HUTCHINGS, Q.C.:
 23 Q. IC-1B.
 24 MS. NEWMAN:
 25 Q. IC-1B.

Page 45

1 HUTCHINGS, Q.C.:

2 Q. - is the document, the SENES consulting

3 report. I think I'm saying--SENES is that -

4 A. Yes.

5 Q. - how to say it, okay.

6 A. We've produced annual modelling reports that

7 we've submitted to the Department of

8 Environment and Conservation since 1995. So

9 we've been modelling since that time.

10 Q. And why has it been that you've been producing

11 annual reports?

12 A. We've had--since the 1994, we've had in place

13 a compliance agreement with the Department of

14 Environment and Conservation and one of the

15 stipulations or items in the agreement was

16 that we would submit annually a report to them

17 that identifies the volumetric calculation of

18 the emissions of concern, sulphur dioxides,

19 carbon monoxide, particulate matter, nitrogen

20 oxides. So that's a calculation of the

21 overall volume or quantity of these pollutants

22 that we've emitted in annual in the year, and

23 a modelling of the ground level concentration

24 associated with the hourly outputs that have

25 been calculated.

Page 47

1 used to do this all for us at the other

2 hearing. Okay, that is, as I understand it,

3 the environmental agreement between the then

4 Department of Environment and Lands, and

5 Newfoundland Hydro, which is dated March of

6 1994, is that the agreement under which the

7 reports that you mentioned were submitted?

8 A. Yes.

9 Q. Now as I'm looking at this agreement, there is

10 provision there starting on page three with

11 respect to air monitoring, and I take it that

12 reference is to the actual monitoring sites

13 that you discussed with Mr. Young, and not to

14 the modelling, which is a different procedure?

15 A. That's right.

16 Q. So that section doesn't deal with this. So

17 it's paragraph 11, is it, under Environmental

18 Effects Monitoring, is that where the

19 modelling comes in?

20 A. Eight.

21 Q. Paragraph eight, okay. So that's the

22 requirement for an annual report?

23 A. Yes.

24 Q. And Item "E" of that is the -- under "E" the

25 reference is to the results of dispersion and

Page 46

1 Q. And you say it's your understanding that under

2 the agreement you were required to produce

3 annual modelling reports?

4 A. That's right.

5 Q. And were each of those essentially of the same

6 type as the SENES report we have from October

7 2005?

8 A. The reports would be very similar. The

9 modelling that was used--CALPUFF was only

10 adopted, I think, two or three years ago.

11 Before that, we used the AIRMODE modelling

12 process which is similar but doesn't have the

13 same capability to the land water interface

14 and is not as broad range. CALPUFF is often

15 used as well for greater area calculations,

16 but AIRMODE is more localized area and

17 recommended mostly.

18 Q. If I could ask you to look for a moment at the

19 response to IC-3?

20 A. Mr. Chair, in recent years they've gone really

21 electronic with the screens.

22 CHAIRMAN:

23 Q. Makes it a lot easier, I agree.

24 HUTCHINGS, Q.C.:

25 Q. We miss our friend from the Southern Shore who

Page 48

1 modelling for the flue gas constituents listed

2 in "C" based on locally available

3 meteorological data?

4 A. Yes.

5 Q. Okay. Now the local available meteorological

6 data that's referred to, is that actually

7 collected by Hydro?

8 A. We were collecting locally available

9 meteorological. We have -- at one of our

10 monitoring sites, we also have a

11 meteorological data collection system there.

12 We, in effect, had problems with that site and

13 we did use the meteorological data for a

14 couple of years, but we haven't been able to

15 use it for the last couple of years. We've

16 had to use alternate meteorological data.

17 Q. Right. Why was it that you were not able to

18 use that data?

19 A. It's a quality control issue. The equipment

20 itself has a life to it and requires, as with

21 the monitoring, particular attention and

22 maintenance and calibration, and some of the

23 equipment fell out of the requirements for

24 that, so we're in the process of

25 reconstituting that meteorological station and

Page 49

1 getting it up and running again.
 2 Q. Actually, since this application has been
 3 filed, a certificate of approval has been
 4 issued in respect of the operation by the
 5 Department of Environment and Conservation,
 6 and that's attached to the pre-filed evidence
 7 at Tab 3, I believe. Do you have that?
 8 A. Yes.
 9 Q. I take it you're familiar with this document,
 10 this certificate of approval?
 11 A. Yes, I am.
 12 Q. Can you tell us what the requirements for
 13 dispersion modelling are under this document?
 14 A. It refers to the Guidance Document that they
 15 have issued related to determination of
 16 compliance and modelling. It also -- it
 17 stipulates the requirement for stack testing
 18 every two years and modelling to be completed
 19 associated with that stack testing. So the
 20 modelling requirement now has been moved from
 21 one year to two years.
 22 Q. Okay. If you look at paragraph 76 of Appendix
 23 "A" to the approval, as I read that first
 24 sentence in that paragraph, it appears that
 25 the testing is actually every four years if

Page 51

1 it, it can be done for fifteen to twenty
 2 thousand dollars.
 3 Q. So that's been an annual expense since 1995,
 4 roughly in that area?
 5 A. Yes, and some years it's been more \$25,000.00,
 6 depending on the range of data requirements to
 7 go into the model.
 8 Q. The conditions that we find now in the current
 9 certificate of approval in Appendix "A", were
 10 these subject of any negotiation between
 11 yourselves and the Department of Environment?
 12 A. We did have a number of discussions with them
 13 related to the conditions in the certificate
 14 of approval, yes.
 15 Q. Okay. Would that be your responsibility as
 16 Manager of Environmental Services?
 17 A. Partly. It also involved the facility manager
 18 and his environmental performance engineer as
 19 well.
 20 Q. When you say "the facility manager", you mean
 21 the Holyrood facility manager?
 22 A. The Holyrood facility manager.
 23 Q. Was there a big issue between Hydro and the
 24 Department of Environment concerning the SO2
 25 emissions during the negotiations leading up

Page 50

1 you're in compliance, is that correct?
 2 A. Yes.
 3 Q. And if you're not in compliance, then the
 4 testing is every two years?
 5 A. That's right.
 6 (10:05 a.m.)
 7 Q. So moving from the Environmental Agreement
 8 which we looked at previously, the Department
 9 of Environment requirements for this dispersal
 10 testing have actually been cut back
 11 significantly, is that correct?
 12 A. Yes.
 13 Q. So instead of every year, if you're effecting
 14 compliance, you need to only do it every four
 15 years?
 16 A. That's right.
 17 Q. And if you're not in compliance, you need to
 18 do it every two years?
 19 A. That's right.
 20 Q. Can you give us any idea as to what the cost
 21 would be for a study of this nature, the
 22 modelling study to produce the report such as
 23 SENES has given us here?
 24 A. Generally, if you've got the model
 25 information, the requirements to be put into

Page 52

1 to this certificate of approval?
 2 A. In terms of the dispersion modelling results,
 3 it was raised as a concern by the Department
 4 of Environment and Conservation, yes. It was
 5 part of the discussions. I can't say it was
 6 any greater of concern than other factors or
 7 other components of the agreement.
 8 Q. Did you have to fight with the department to
 9 get this testing down to every four years?
 10 A. We didn't have to fight with them to do that.
 11 We indicated to them at the time that we --
 12 they didn't have a document or in their
 13 regulations stipulations of related to that.
 14 So there was no mechanism for us or any other
 15 party within the province to determine
 16 strictly how you determined your compliance on
 17 that basis. They do have a Guidance Document
 18 now that came out last fall that stipulates
 19 that, but we had been in discussions with them
 20 related to the certificate of approval prior
 21 to that, and we did point out there was no way
 22 for us to determine whether we were compliant
 23 or not aside from we had results from the
 24 modelling that showed non-compliance, but was
 25 that strictly the mechanism for determining it

Page 53

1 or other mechanisms.
 2 Q. So at the time that you were negotiating the
 3 terms for the certificate of approval, there
 4 was no clear rule, if you will, as to when you
 5 were or were not in compliance?
 6 A. We felt there wasn't. The Department of
 7 Environment felt, you know, if they determined
 8 that it was non-compliant on the basis of the
 9 modelling, that they could say that and that
 10 was it, I guess, but we pointed out that there
 11 was no published clear articulation of that.
 12 Q. And I take it -- in your position you already
 13 mentioned that you monitor legislation,
 14 regulations, and so on. So you would be
 15 pretty familiar with the Air Pollution Control
 16 Regulations and the other legislation upon
 17 which the Department of Environment acts?
 18 A. Yes.
 19 Q. Do you have a concern as of today that there
 20 is any particular provision within that
 21 legislation or regulation under which Hydro
 22 could actually be charged with an offence for
 23 what it's doing in Holyrood?
 24 A. Yes, yeah.
 25 Q. What do you think would be any potential

Page 55

1 the last thing you mentioned which was a
 2 charge. I mean, what did you fear you might
 3 be charged with?
 4 A. Well, a charge, I guess, the most likely
 5 scenario would have been a stop order related
 6 to your emissions rather than a charge. I
 7 have to say that.
 8 Q. So you had no real concern that you were going
 9 to be charged with any violation of the Act?
 10 A. Not without us refusing some further action,
 11 yes.
 12 Q. Oh, sure, I mean, if you refused to comply
 13 with an order or something like that,
 14 obviously, I mean, there are very specific
 15 charges associated with that type of thing.
 16 A. Yes.
 17 Q. But from where you stood even before you
 18 started burning one percent sulphur fuel, you
 19 didn't have any real concern that you were
 20 going to be charged with any quasi criminal
 21 offence as a result of what was happening in
 22 Holyrood?
 23 A. I felt from our discussions that we would more
 24 likely be required to take some action to
 25 reduce our emissions before they would move to

Page 54

1 charge?
 2 A. Well, the -- well, today, I guess, we've got
 3 the one percent sulphur fuel, so I have much
 4 less concern, but when we were, I guess,
 5 during negotiation when we were burning two
 6 percent sulphur fuel with the results of the
 7 modelling and other factors, I guess, that
 8 were there in terms of the results from our
 9 monitoring locations, some input from --
 10 response from community members who indicated
 11 that they were feeling concerned and had
 12 indications of high sulphur content in their
 13 area, some indication from previous studies
 14 that we had done that there were effects on
 15 vegetation, localized, but in a local area
 16 that could be associated with high sulphur
 17 content in the air. I would have concern at
 18 that level that they could interpret our
 19 emissions to be non-compliant and could take
 20 action against us to either require us to
 21 input a particular type of control, or to stop
 22 the plant from -- putting a stop order, or
 23 make a charge, I guess, under that
 24 legislation.
 25 Q. Okay. I guess my question was directed toward

Page 56

1 that, yes.
 2 Q. So your concern was some sort of
 3 administrative order or an amendment to your
 4 operating certificate or something of that
 5 nature?
 6 A. Most likely, yeah, that would be the most
 7 likely.
 8 Q. I see. I guess I'm trying to get to the
 9 impetus for making this application. Of
 10 course, this was in January of this year that
 11 the application was filed, which was before
 12 the certificate of approval was granted,
 13 correct?
 14 A. Yes.
 15 Q. So you were governed at that stage by the
 16 Environmental Agreement that we looked at
 17 earlier?
 18 A. Okay, yes.
 19 Q. I mean, are we in agreement on that?
 20 A. Yes.
 21 Q. Did you feel that you were in any sense in
 22 violation of the Environmental Agreement in
 23 January of 2006?
 24 A. No, I think we were compliant with the
 25 conditions of the agreement in that we were

Page 57

1 submitting our reports and our monitoring
 2 data, those requirements specifically related
 3 to the agreement. I guess, we did have
 4 concern that we were potentially not compliant
 5 with the regulatory limits for ground level
 6 concentrations in the ambient air.
 7 Q. If we can look again at the Environmental
 8 Agreement for a moment, and that's in
 9 response, as I say, to IC 3, in reviewing the
 10 document, obviously, Hydro is agreeing to do a
 11 number of things here in terms of
 12 investigating, reporting, operating,
 13 monitoring sites, conducting feasibility
 14 studies, and so on. Was the Department of
 15 Environment agreeing, to your understanding,
 16 to do anything in connection with this
 17 document?
 18 A. You mean would they have had any action
 19 requirements coming out of the agreement
 20 themselves?
 21 Q. Were they agreeing to do anything or not do
 22 anything? I mean, what was the quid pro quo
 23 for the agreement?
 24 A. No. My recall to the basis of the agreement
 25 in 1994 was that the monitoring network had

Page 59

1 A. That's right.
 2 (10:20 a.m.)
 3 Q. Was it your understanding that so long as
 4 Hydro complied with the terms of this
 5 agreement, that the Department would regard it
 6 as being in compliance with the environmental
 7 standards for the province?
 8 A. Yeah, I guess, unless otherwise advised by
 9 them.
 10 Q. There is a provision in this agreement for
 11 termination on twelve months notice. Did
 12 either party ever give notice to terminate the
 13 agreement?
 14 A. No.
 15 Q. Just from -- I'm not asking you for a legal
 16 opinion on the subject, but from your
 17 understanding of it, has this agreement now
 18 been superseded by the certificate of
 19 approval?
 20 A. That's my understanding.
 21 Q. So you're not going to bother to look at this
 22 agreement any more now, you're going to
 23 operate under the certificate of approval?
 24 A. That's right.
 25 Q. I take it that since the certificate of

Page 58

1 changed. That was rationale for them to
 2 require an agreement to be signed so that that
 3 information that -- that new set up for the
 4 monitoring network was accepted and the
 5 information coming out of that was stipulated
 6 in the -- the requirement for reporting that
 7 was stipulated in the agreement. The other
 8 things that they felt were potentially
 9 concerned that they were addressing
 10 requirements for us to submit information so
 11 that they could track those areas.
 12 Q. Was there a predecessor to this agreement, or
 13 is this the only environmental agreement that
 14 existed between Hydro and the Department?
 15 A. That would be the only -- well, that's not the
 16 only agreement associated. As well around the
 17 same time, there was an agreement related to
 18 our waste water discharges. We did also put
 19 in place a new waste water treatment system at
 20 the Holyrood plant and there was a separate
 21 agreement that related to our waste water
 22 discharges.
 23 Q. That one is actually referenced in the 1994
 24 agreement, okay, but there was no general
 25 environmental agreement other than this one?

Page 60

1 approval has been granted, there hasn't been
 2 any other modelling data generated or any
 3 other studies done relative to sulphur dioxide
 4 levels, have there?
 5 A. That's right, other than the ongoing
 6 monitoring. We do produce the monthly
 7 monitoring results and submit a report on
 8 monthly monitoring to the Department of
 9 Environment.
 10 Q. Okay. Can I ask you for a moment to look at
 11 the response to CA 5. This was a question put
 12 to Hydro by the consumer advocate in
 13 connection with the suggestion that there was
 14 reason to believe on the part of the Minister
 15 that Hydro was not in compliance, and asked
 16 for provision of correspondence to indicate
 17 when the direction was made and so on. The
 18 answer is to say that the Director of
 19 Pollution Prevention Division of the
 20 Department confirmed and explained the
 21 Department's position in the matter by a
 22 letter dated February 9th, a copy of which was
 23 attached. Now February 9th, obviously, of
 24 2006, postdates the application itself. Was
 25 there anything in writing from the Department

Page 61

1 prior to February 9th or prior to the date of
 2 the application which indicated that the
 3 Minister felt there was reason to believe that
 4 Hydro was not in compliance?
 5 A. The only thing that I'm aware of would have
 6 been the cover letter with the actual
 7 certificate of approval which was dated, I
 8 think, February 2nd, so it was relatively
 9 close to that, which also made that statement.
 10 Q. That again would have been after this
 11 application was filed?
 12 A. Yes.
 13 Q. Okay. So as regards the Department's concern
 14 of Hydro not being in compliance, up until the
 15 date that this application was filed, they had
 16 not put that concern in writing to Hydro, is
 17 that correct?
 18 A. Not that I'm aware of.
 19 Q. Now if I am reading the information correctly,
 20 if I can get you to look at IC 4, the response
 21 to IC 4. This is in response to a question
 22 about the calculation of the estimated rate
 23 increases. As opposed to looking at the
 24 percentages at the bottom, I just want to look
 25 at line four in the calculations there which

Page 63

1 actual analysis of the air at those particular
 2 locations, is that correct?
 3 A. It does.
 4 Q. So we know that those are, in fact, factual?
 5 A. For that location, yes.
 6 Q. For that location at that particular point in
 7 time, we know that the concentration of
 8 sulphur dioxide was "x".
 9 A. That's right.
 10 Q. Am I correct in saying that as regards the
 11 SENES Report, other than it's references to
 12 the actual monitoring results, all of the
 13 numbers in here are, in fact, predictions?
 14 A. Calculations.
 15 Q. And they refer to them generally themselves, I
 16 think, as predictions, the predicted value
 17 would be "x" or "y" as the case may be, is
 18 that correct?
 19 A. I believe so.
 20 Q. Maybe I'll get you to look at page 4-5 of the
 21 SENES Report.
 22 A. Yes, I have that.
 23 Q. The table at the top there talks about the
 24 maximum predicted hourly averages, and in the
 25 second line below the table, this is one of

Page 62

1 show the incremental fuel cost.
 2 A. Okay.
 3 Q. And the incremental fuel cost stated in the
 4 application or used for the purpose of the
 5 calculation in the application is 7.9, almost
 6 eight million dollars, and that's an annual
 7 cost, right? It's what the differential was
 8 predicted to be for going to one percent
 9 sulphur fuel?
 10 A. That's right, as opposed to two percent.
 11 Q. So at the time of filing this application in
 12 January, Hydro was proposing an extra expense
 13 of eight million dollars a year to solve the
 14 problem that the Department of Environment
 15 hadn't even bothered to write you a letter
 16 about, am I understanding that correctly?
 17 A. They hadn't indicated in writing to us, that's
 18 right, as far as I'm aware.
 19 Q. I want to discuss with you the dispersion
 20 modelling report and that system, and I found
 21 your discussion useful this morning as it
 22 related to this procedure versus the
 23 monitoring procedures that you discussed with
 24 Mr. Young. The ambient air monitoring program
 25 produces actual results, does it not, of

Page 64

1 the places, I guess, where they say the SO₂
 2 hourly AAQS is predicted to be exceeded at
 3 least once in 2004?
 4 A. That's right.
 5 Q. And that's what this program produces is a
 6 series of predictions as to not so much what
 7 the result is going to be, but what the result
 8 would have been had someone been there and
 9 tested it at that particular point in time, is
 10 that correct?
 11 A. Yes, it's a prediction in that it's a
 12 calculation of the factors that have been
 13 input into the model. That's the outcome
 14 calculation for that particular point, yes.
 15 Q. And I think you mentioned this morning that
 16 the 900 micrograms per cubic metre was, in the
 17 view of the Canadian Council of Ministers, a
 18 maximum, and the target should really be
 19 around 450?
 20 A. The maximum desirable is 450.
 21 Q. Maximum desirable is 450?
 22 A. Yes.
 23 Q. And if I'm reading this table correctly, 99
 24 percent of the time, even using this model,
 25 the concentration in the Holyrood area is 313?

Page 65

1 A. That's right.
 2 Q. So well below the maximum that is desirable?
 3 A. That's right.
 4 Q. So at best we're talking about something less
 5 than one percent of the time when there might
 6 be a problem?
 7 A. One percent of the hourly, yeah. It's not, I
 8 guess -- it's not the area, it's the hourly.
 9 Q. Yes, I understand. It's time rather than
 10 space.
 11 A. That's right.
 12 Q. I did have a little confusion in my mind when
 13 you were talking about how the model worked in
 14 the sense that you were saying the model was
 15 run for each hour of each day. Is there, in
 16 fact, an actual input for the emissions
 17 themselves for each hour of each day?
 18 A. Yes. It's based on the fuel consumption
 19 record for each hour, but it is extrapolated
 20 from the test, the stack test which is done at
 21 a rated output, and what the modellers have
 22 done is extrapolated a straight line
 23 extrapolation from that point to what the
 24 emission rate would be on any output time and
 25 that's determined based on the fuel

Page 67

1 done between those two dates?
 2 A. That's right.
 3 Q. And do you know on how many actual days the
 4 tests were done?
 5 A. There were three tests for each unit, for each
 6 stack, and I don't recall which particular
 7 days, but for each stack there would have been
 8 three tests and the emission rate that's
 9 chosen then is the average of those three.
 10 Q. And the tests were done at a time that units
 11 were at full production, is that correct?
 12 A. They have to be at least 85 percent of full
 13 production. The Department of Environment and
 14 Conservation has a Guidance Document that
 15 guides the acceptable stack testing procedure,
 16 and you have to be at least 85 percent of your
 17 maximum load.
 18 Q. And if I'm understanding your explanation and
 19 response to my earlier question, the numbers
 20 for emissions produced by those actual tests,
 21 which is the average of three tests for each
 22 of three stacks, is then prorated on a
 23 straight line basis for each hour of the year
 24 depending upon the level of production in that
 25 particular hour, is that correct?

Page 66

1 consumption of that hour. So if the test was
 2 at 150 megawatts for a unit, each unit, then
 3 that is the test point that we have and they
 4 extrapolate down. If the particular hour the
 5 unit was only running at 100 megawatts, then
 6 the emission rate would be extrapolated from
 7 that 150 output time to reduce the emission
 8 rate based on the lesser fuel consumption.
 9 Q. When I looked at Appendix "B" to the SENES
 10 Report, which is the executive summary, the
 11 2005 source testing report, which was done by
 12 Air Testing Services Inc, the second page of
 13 that is the executive summary. The page
 14 number is a small roman numeral II at the
 15 bottom of the page headed executive summary.
 16 Do you have that?
 17 A. Yes.
 18 Q. That's in Appendix "B" of the SENES Report.
 19 They talk there about the testing that they
 20 have done, and they said the tests were
 21 completed between April 9th and April 30th,
 22 2005?
 23 A. Yes.
 24 Q. So the actual numbers that were produced for
 25 emissions all relate to whatever tests were

Page 68

1 A. For each stack, yes.
 2 Q. And that's just a straight line proration. If
 3 it's on at 50 percent of the day, it was -- of
 4 the level it was on the day the test was done,
 5 then it's one half?
 6 A. That's right.
 7 Q. Assumed to be, okay. Appendix "E" of the
 8 SENES Report again which has the top 50
 9 predicted hourly concentrations.
 10 A. Yes.
 11 Q. Just looking at Table E.1 which is on page E-
 12 1, these are the top 50 predicted hourly SO2
 13 concentrations. Do I take it that under the
 14 column headed "Month" that 11 would indicate
 15 the month of November?
 16 A. Yes.
 17 Q. And nine would be September and so on?
 18 A. Yes.
 19 Q. The day "6", do you know what that represents?
 20 A. That's the day of the month, the 6th day of
 21 November.
 22 Q. Okay. The hour would be, I presume, on the 24
 23 hour clock?
 24 A. That's right.
 25 Q. That hour of the day?

Page 69

1 A. Yes.

2 Q. Do you see any significance to the fact that

3 just about all of these 50 top predicted

4 hourly concentrations occur on one of two

5 days, or two or three days in November and

6 September?

7 A. As I indicated, I guess, the frequency of the

8 maximum ground level concentrations exceeding

9 the regulatory limit by this modelling was

10 predicted to be relatively low, a low

11 frequency chance, and that's why we would have

12 the expectation that the movement to one

13 percent sulphur fuel would have the

14 opportunity of moving us into compliance with

15 that. You have to get the meteorological

16 condition at the time that you're outputting

17 the emission rate, that's the concern, and the

18 meteorological condition that would go

19 together with that. So it's a limited number

20 of meteorological conditions in this one year,

21 in this particular year, that resulted on

22 those exceedances.

23 Q. So what you're saying is that a particular

24 level of output during a specific weather

25 condition is what produces these higher

Page 71

1 plant close to the boundary, the plant

2 property itself, within 500 metres to a

3 kilometre of the plant property itself.

4 Q. Okay. In your direct testimony you compared

5 the environmental monitoring and modelling

6 done here with that done in other Atlantic

7 provinces, and if I understood your answer

8 correctly, the monitoring that Hydro does is

9 probably more extensive than most others,

10 whereas the modelling may not be quite as

11 sophisticated as some others, is that fair?

12 A. I accept what you're saying on the monitoring

13 side. I'm not aware of any as extensive a

14 monitoring set up. On the modelling, it's

15 just -- I guess, what I was trying to portray

16 there is that in different areas, different

17 factors are more important. Although this

18 CALPUFF modelling is a USEPA recommended

19 modelling accepted by the Department of

20 Environment and Conservation, now accepted by

21 most of the provinces across Canada and

22 stipulated to be used by provinces across

23 Canada for this type of purpose, in other

24 areas there may be other factors that also

25 have to be drawn into the modelling to really

Page 70

1 readings or higher predicted readings?

2 A. In general, that and it could be at times

3 associated with the terrain features as well.

4 We found that in previous modelling that

5 terrain is a major component of the -- a

6 factor involved at times as well.

7 Q. Is there anything on this table which would

8 indicate to us where these concentrations were

9 predicted to have occurred?

10 A. Yes, the "x" and "y" columns, those are the

11 coordinates for the location.

12 Q. And those, if I'm reading this correctly, are

13 almost always at precisely or very close to

14 the same point?

15 A. Very close to, within a couple of hundred

16 metres one way or the other, I guess, of

17 similar points there. Again back in the

18 previous table that you referred to, it

19 determines a 2.2 square kilometre area that

20 these exceedances occur over.

21 Q. Yes. Do you know where physically that area

22 is?

23 A. I haven't gotten the exact location of those

24 coordinates. I haven't done that. It's

25 generally to the east and northeast of the

Page 72

1 firm up your results and be able to determine

2 your results. In our case, we don't have

3 other major factors other than the plant

4 itself, the Holyrood generating station itself

5 to be considered there.

6 Q. So as regards the level of sophistication,

7 shall we say, of the modelling, we're probably

8 on a par with the Atlantic region?

9 A. Yes.

10 Q. Because we take into account what we need to

11 take into account. There's is more

12 complicated because they have other things to

13 take into account?

14 A. Yes.

15 Q. But as regards to monitoring, ours is, in

16 fact, more extensive than anything that sits

17 in the Atlantic provinces?

18 A. That I'm aware of, yes.

19 Q. If we could look then to page 4-7 of the SENES

20 Report, there is there in Table 4 a comparison

21 of predicted and monitored SO2 concentrations.

22 Would you agree with me that the purpose of

23 the model is to predict what the actual

24 concentration would be at a particular point

25 in time and space if you could monitor it

Page 73

1 there?
 2 A. Yes.
 3 Q. So the table -- let's look first at the
 4 monitoring station at Lawrence Pond. There is
 5 a predicted figure for Lawrence Pond, maximum
 6 one hour, of 1481, I take it, micrograms per
 7 cubic metre, correct?
 8 A. That's right.
 9 Q. And the actual observed figure, the one that
 10 was really measured by the monitoring station
 11 at that time was 299?
 12 A. That's right.
 13 Q. The former being --
 14 A. Sorry, not necessarily observed at that time.
 15 This was the maximum observed in that year.
 16 Q. In that year?
 17 A. Yes.
 18 Q. So if that wasn't at the same time, in fact,
 19 the observed figure was lower?
 20 A. That's correct.
 21 Q. So there is at least a discrepancy of almost
 22 1200 micrograms per cubic metre at that point,
 23 correct?
 24 A. Yes.
 25 Q. And maybe more?

Page 75

1 prevalent down wind sites.
 2 Q. The underprediction is on a totally different
 3 level of magnitude than the overprediction,
 4 isn't it?
 5 A. Yes.
 6 Q. I mean, 272, 324, I mean, that is probably
 7 within a margin of error of some of the
 8 calibration and 497 and 328 is not that big a
 9 difference either, but the overpredictions are
 10 huge, are they not? They're almost to the
 11 level of four times the actual.
 12 A. They are larger, much larger. They are much
 13 larger, yeah.
 14 Q. I mean, have you confronted the Department of
 15 Environment with the notion that this may, in
 16 fact, be some difficulty with the model?
 17 A. We have suggested that the model -- the
 18 consultants did, that the model is
 19 overpredicting in these locations. Their
 20 response has been that the model shows non-
 21 compliance, so it's non-compliant. For those
 22 particular locations, they feel the model is
 23 showing reasonable results in comparison to
 24 the monitor results.
 25 Q. So the Department of Environment is not

Page 74

1 A. For a particular point in time, yes.
 2 Q. Equally then with respect to the Indian Pond
 3 monitoring station, there is a discrepancy
 4 there of at least 1600 and odd, 1681, I think,
 5 micrograms per cubic metre from the highest
 6 observed figure to what the model predicts,
 7 correct?
 8 A. Yes.
 9 Q. Have you had any discussions with the
 10 Department of Environment around that
 11 discrepancy or those discrepancies?
 12 A. We've had some discussions related to the
 13 results of the modelling, in general, yes, and
 14 a little bit on the specifics of it as well.
 15 The conclusions by the modellers there, I
 16 guess, that were drawn from these things was
 17 that in the prevalent -- the monitoring sites
 18 in the prevalent wind direction, down wind of
 19 the prevalent wind direction, the model was
 20 overpredicting, but in the area of non-
 21 prevalent wind conditions to the south of the
 22 site, the model was underpredicting. The
 23 Butter Pot and Green Acres site, it
 24 underpredicted the maximums that were achieved
 25 there, but it did overpredict for the

Page 76

1 convinced by reason of actual factual
 2 measurements that their model predictor, which
 3 is only out by about three or four times, is
 4 perhaps questionable?
 5 A. They've included a provision for over time in
 6 their Guidance Document to be able to use a
 7 compliance -- sorry, an ambient air monitoring
 8 network to rate or prorate the results from
 9 the modelling output. They have approved
 10 that. So they've conceived of that as a
 11 concept or they've approved of that as a
 12 concept that could be used, but in a specific
 13 case for one year of modelling exercise, they
 14 don't see it as a direct correlation that can
 15 be made.
 16 (10:45 a.m.)
 17 Q. So from the point of view of the Manager of
 18 Environmental Services for Hydro, do you feel,
 19 given these discrepancies in the data, that it
 20 would be reasonable for the Department of
 21 Environment to make a corrective order against
 22 Hydro based upon the results of this
 23 dispersion modelling?
 24 A. I guess, the weight of evidence overall would
 25 lead them to believe that non-compliances may

Page 77

1 be occurring out there that aren't being
 2 detected by our monitoring setup, and that, I
 3 would think, includes the evidence from other
 4 studies that have been done in terms of the
 5 effect on vegetation or the discoloration of
 6 vegetation, the input from the community
 7 related to the general perception of the
 8 concentration of sulphur dioxide in the areas
 9 a times, as well as the modelling and the
 10 monitoring. My impression from them is that
 11 they are including all of those factors in
 12 their deliberations on this and their thinking
 13 on it.
 14 Q. In terms of the response that you've been
 15 getting from the communities, has that been
 16 related specifically to sulphur or is that
 17 more related to spotting on cars, and black
 18 spots on clotheslines, that type of thing?
 19 A. The majority are related to the dust fall
 20 events that occur, but we have been getting
 21 also concerns related to the sulphur odour in
 22 the area and their perception of where the
 23 flume from the plant is coming to ground and
 24 impacting.
 25 Q. Do you have a record which identifies those

Page 79

1 sulphur dioxide emissions?
 2 A. With other items?
 3 Q. No, that dealt with nothing else other than
 4 sulphur dioxide?
 5 A. Oh, sorry, nothing other than sulphur dioxide,
 6 no.
 7 Q. Okay. So it was mentioned during the course
 8 of the discussions about the certificate of
 9 approval, sulphur dioxide?
 10 A. Yes, it has been one of the factors.
 11 Q. And the result was that you were relieved from
 12 doing the level of monitoring and reporting
 13 that you had done previously? You're down now
 14 to two or four years dispersal modelling
 15 rather than every year, correct?
 16 A. They've set that as a general standard, not
 17 just for Hydro, but as a general standard
 18 throughout now, but that is also included in
 19 our specific certificate of approval.
 20 Q. Yes, yeah. So that's a reduction in what was
 21 the prior requirement?
 22 A. That's right.
 23 Q. So other than what you've referred to and what
 24 you say was confirmed in a letter of Mr.
 25 Maddocks, there hasn't been any other

Page 78

1 complaints, as to exactly what the complaint
 2 was about?
 3 A. The complaints that are formally received at
 4 the plant we do have a record of. We have also
 5 had community meetings in the area where some
 6 complaints have been raised and they have been
 7 documented in the records of the community
 8 meetings, but they are less specific in terms
 9 of the time and the occurrence.
 10 Q. So there's nobody out there measuring sulphur
 11 dioxide in the air other than yourselves, I
 12 take it?
 13 A. No.
 14 Q. To your knowledge, has the Department of
 15 Environment ever made an order against Hydro
 16 to change any of its operations for
 17 environmental reasons?
 18 A. An order, you mean, an official order under
 19 the Act?
 20 Q. Yes.
 21 A. No.
 22 Q. And have you, as Manager of Environmental
 23 Services, had a meeting within the past two
 24 years with officials of the Department of
 25 Environment that dealt with nothing other than

Page 80

1 communication from the Department of
 2 Environment indicating any impending action
 3 against Hydro relative to the sulphur dioxide
 4 problem, is there?
 5 A. Any written communication, no. The
 6 discussions around the certificate of approval
 7 did raise that and address that, but nothing
 8 other than that, no.
 9 Q. And at the end of the day, it is the
 10 Department of Environment that sets those
 11 conditions in the approval, correct? You
 12 negotiate with them --
 13 A. Yes.
 14 Q. But at the end of the day, it's up to them,
 15 they put in what they're satisfied with?
 16 A. That's right.
 17 Q. Has Hydro ever been assessed an administrative
 18 penalty for opacity exceedances?
 19 A. No.
 20 Q. Just so we can clarify the extent of your
 21 involvement, sir, I take it decisions as to
 22 how the rate effects of the decision to go to
 23 one percent sulphur fuel and whether or not
 24 the RSP is the appropriate way of doing that,
 25 is not really any concern of your division, is

Page 81

1 it?

2 A. We are not the ones who look at and review the

3 cost, no.

4 Q. So your involvement would be primarily to

5 identify the problem that requires something

6 to be done and potentially suggest some

7 solutions, is that fair?

8 A. We'd be participating in the review of the

9 alternatives and the solutions to see whether

10 -- although we would have knowledge of costs,

11 that's not our main area of expertise, we

12 would have input into the discussions

13 surrounding the viability of the alternative

14 in terms of being able to effect the change

15 that we're looking at.

16 Q. Mr. Maddocks in his letter indicates that the

17 generating station would be deemed non-

18 complaint until such time as the modelling or

19 approved compliance monitoring demonstrates

20 compliance. Has there been anything either in

21 writing or otherwise from the Department to

22 indicate that there will be any other

23 consequence to this non-compliance which they

24 perceive?

25 A. No. My indication from them is that they're

Page 83

1 into the areas. On a scientific basis, you do

2 use a sampling technique for any determination

3 of levels. So you have to use the appropriate

4 sampling technique with an appropriate level

5 of sampling to make a statistical

6 determination of things, for the most part.

7 It's difficult to do in an environment where

8 you have a variable -- such variable

9 conditions as Holyrood does, and it's

10 difficult to set up your monitoring locations

11 in the points where if you were intending to

12 choose to determine the maximum ground level

13 concentrations, it's difficult to do that. So

14 you have to accept that you may be overall

15 missing some opportunities to determine the

16 maximums that are in the ambient air, but

17 whether that level that you're missing is the

18 same and true as the modelling shows, I'm not

19 sure that the -- you have to work a little

20 more and over more time, I think, to be able

21 to make that kind of a judgment.

22 Q. Would you agree with me that putting the

23 Department's case at its highest and best,

24 there might be exceedances?

25 A. I guess the -- you know, the Department has

Page 82

1 requiring or requesting Hydro to take action

2 or an expectation that Hydro will -- they have

3 an expectation that Hydro will take action to

4 address the non-compliance.

5 Q. How was that conveyed to you?

6 A. In the discussions leading up to the

7 certificate of approval. As I say, the

8 discussions were on the expectation that Hydro

9 would take action.

10 Q. Do you agree with the Department that the

11 emissions are today currently in excess of the

12 regulated standards?

13 A. Using the modelling, it's clear that the

14 emissions have the potential to be in non-

15 compliance with the regulations, and if that's

16 the determining factor, then I'd have to agree

17 with that. The monitoring network hasn't

18 shown that, but there are other evidential

19 areas that would indicate that potential is

20 there as well. So in terms of the

21 determination of it, that's the Department of

22 Environment responsibility. From my own

23 perspective, I hold more to monitoring, but

24 you need an extensive monitoring network to be

25 able to assure yourself that you're getting

Page 84

1 specified in the Guidance Document how you

2 determine exceedances, and going on that,

3 they're true in saying there are exceedances.

4 Q. They are true in saying that the model as it

5 was applied in 2005 predicted exceedances?

6 A. Yes, and their Guidance Document for their

7 interpretation of how you determine compliance

8 relies on that.

9 Q. And would you agree with me that reasonable

10 people could disagree on the interpretation of

11 the results of those modelling -- the

12 dispersion modelling?

13 A. The dispersion modelling results are the

14 dispersion modelling results. You know, it's

15 a USEPA approved modelling methodology, it's

16 been accepted across Canada, so I -- you know,

17 I'm not able to question the viability of the

18 model itself, and we've input the factors that

19 are required into the model to be able to make

20 the predictions. This is a common usage of

21 the model to make that kind of prediction and

22 there comes a conclusion resulting from it.

23 Q. That's the purpose for which this model was

24 developed, correct?

25 A. That's right.

Page 85

1 Q. But the model does have to be tweaked for each
 2 individual situation, doesn't it?
 3 A. Yes.
 4 Q. Okay, and there can be anomalies show up? I
 5 mean, SENES themselves said there was a bug in
 6 the thing with respect to a particular
 7 parameter, was there not, the downwash
 8 calculations?
 9 A. Yes.
 10 Q. So, I mean, there are bugs, the thing is not
 11 foolproof?
 12 A. The thing is not foolproof.
 13 Q. And we know -- we know that it has predicted
 14 results that are three or four times higher
 15 than actual results in some cases?
 16 A. Yes, it shows that.
 17 HUTCHINGS, Q.C.
 18 Q. Okay. I'm getting into a slightly different
 19 area now. I won't be too much longer, Mr.
 20 Chair, but maybe this would be a good time to
 21 take a break.
 22 THE CHAIR:
 23 Q. I think so, yeah. Thank you, Mr. Hutchings.
 24 Mr. Ricketts, we'll reconvene at 11:30.
 25 (RECESS)

Page 87

1 approach would -- the differential rate
 2 between the one percent sulphur fuel and the
 3 two percent sulphur fuel was forecast to be
 4 significant, and that that would be a
 5 mechanism for staging in the cost associated
 6 with coming to the compliance item of one
 7 percent, or what we felt was one percent.
 8 Q. Uh-hm. Was there a time then when Hydro made
 9 a specific decision to the effect that the
 10 staging of the change would not be a
 11 sufficient step to take?
 12 A. I think that's probably -- because the
 13 decision to do that was more at the senior
 14 level at Hydro, I think that would be a more
 15 appropriate question for Mr. Haynes.
 16 MR. YOUNG:
 17 Q. Thanks, Mr. Ricketts. I was going to suggest
 18 that Mr. Haynes might be the person who's got
 19 better evidence on that point.
 20 HUTCHINGS, Q.C.
 21 Q. Okay, we can certain reserve that for Mr.
 22 Haynes. Another subject that may or may not
 23 be within an area that you can address, sir,
 24 but are you familiar generally with the fuel
 25 storage arrangements and the controls for the

Page 86

1 (11:30 a.m.)
 2 CHAIRMAN:
 3 Q. Any items, Ms. Newman, before we get started?
 4 MS. NEWMAN:
 5 Q. Not that I'm aware of, Mr. Chairman.
 6 CHAIRMAN:
 7 Q. It looks like, unless somebody can indicate to
 8 the contrary, we could be finished by 1:30, I
 9 guess, generally. We'll see, anyway. We'll
 10 play it by air and see where we are.
 11 MR. FRANK RICKETTS - CROSS-EXAMINATION BY HUTCHINGS, Q.C.
 12 Q. Mr. Ricketts, there is a suggestion originally
 13 that the move to one percent sulphur fuel
 14 might perhaps be staged over a period of time.
 15 Is that a suggestion that came from within
 16 your group?
 17 A. There was a team of people, I guess, that
 18 worked on the options and that was discussed
 19 in the team. It wasn't -- I can't
 20 particularly recall who initiated it, but it
 21 was discussed in the team.
 22 Q. Okay. What was the thinking behind that?
 23 A. At the time that we originally did our work on
 24 the options and the cost related to the
 25 options, it was felt, I think, that the stage

Page 88

1 delivery of fuel from storage to the actual
 2 generators at Holyrood?
 3 A. In general, yes.
 4 Q. And how many storage tanks are on the site?
 5 A. Four.
 6 Q. Four?
 7 A. Yes.
 8 Q. Okay, and from a technical point of view, can
 9 the operators designate a particular tank to
 10 supply a particular generator at any given
 11 time?
 12 A. My understanding is yes, that, you know,
 13 depending on the equipment, maintenance and
 14 that, that you can choose to draw from any
 15 particular tank at a particular time. I'm not
 16 familiar with how they determine which tank
 17 they're going to draw from at any particular
 18 time related to what issues that they consider
 19 in doing that, but I believe that you can.
 20 MR. YOUNG:
 21 Q. Again, Mr. Hutchings, that might be something
 22 you'll follow up better with Mr. Haynes
 23 because he's probably more closer to that.
 24 HUTCHINGS, Q.C.
 25 Q. Yeah, I was thinking along those lines, but I

Page 89

1 just wanted to make sure that we weren't
 2 skipping the witness who could answer, but I
 3 presume, sir, that Mr. Haynes would have more
 4 engineering information --
 5 A. Yes.
 6 Q. Relative to that exact arrangement. Again
 7 with respect to the actual deliveries of one
 8 percent sulphur fuel that Hydro has already
 9 received, do you know if they have been
 10 segregated in particular tanks or have they
 11 been mixed in with other fuels?
 12 A. My understanding is that they were individual
 13 tanks, they were segregated into individual
 14 tanks, and the two percent sulphur fuel that
 15 was in the tanks was drawn down -- has been
 16 drawn and we're actually burning one percent
 17 sulphur fuel now.
 18 Q. Okay. Just going back for a moment to the
 19 dispersion modelling results, can you describe
 20 for us in layman's terms what particular types
 21 of weather conditions are likely to result in
 22 higher predicted levels of sodium dioxide?
 23 A. Sulphur dioxide.
 24 Q. Sulphur dioxide, sorry.
 25 A. Yeah. Well, the latest modelling set and the

Page 91

1 unstable condition, and those had resulted in
 2 some highs in the past in our modelling
 3 output, but what the latest year of modelling
 4 had shown was the opposite condition.
 5 Q. So you say as regards the opposite condition,
 6 you mean a more unstable air condition?
 7 A. That's right, yeah.
 8 Q. So, I mean, are these types of conditions
 9 predictable at all over time?
 10 A. Not really because meteorological conditions
 11 are variable. The -- normally you would look
 12 to a five year or greater meteorological data
 13 set to model over, and there's -- it's
 14 normally accepted, I guess, that if you model
 15 over a five year data set of meteorological
 16 conditions, you're getting reasonable
 17 expectation of the worse case meteorological
 18 conditions, but you would also normally extend
 19 that, continue on with your modelling
 20 periodically to confirm that.
 21 Q. Did I understand your earlier remark to say
 22 that in the last set of modelling that was
 23 done, you had a year with generally more
 24 unstable air conditions than had been observed
 25 in previous years?

Page 90

1 previous one to that indicated a relatively
 2 neutral leaning on the unstable atmospheric
 3 conditions and moderate to high wind. So what
 4 you would be getting is a turbulence in the
 5 atmosphere, a reasonable degree of turbulence
 6 in the atmosphere, which has the capability of
 7 both up and down currents in the atmosphere,
 8 and the wind would be shearing off the plume
 9 and acting it -- bringing it closer, not
 10 allowing it to reach a significant height in
 11 the atmosphere, shearing it, and bringing the
 12 flume down to ground relatively close.
 13 Q. So there's no significant effect that's been
 14 observed, shall we say, rain or fog or
 15 anything like that, it's basically wind
 16 conditions?
 17 A. The majority is wind conditions, that's right,
 18 wind and atmospheric stability are the main
 19 factors. In some of the previous modelling
 20 that we have done, there has been indication
 21 of low wind conditions and high stable
 22 atmospheric conditions resulting in the plume
 23 just slowly wafting back onto the high terrain
 24 features considerably more distant from the
 25 plant than you would get if you had an

Page 92

1 A. Just that in previous modelling that we've
 2 done, the maximum ground level concentrations
 3 were found to be associated with more stable
 4 atmospheric conditions with lower wind speeds.
 5 In this past year, the maximum ground level
 6 concentrations were associated with more
 7 unstable atmospheric conditions, higher wind
 8 speeds.
 9 Q. And was there a discernable relationship
 10 between the highest concentrations and the
 11 level of output at the generating station?
 12 A. As we indicated before, the higher
 13 concentrations were in November of the past
 14 year, and that would have been, you know, not
 15 the highest output conditions, I guess, but
 16 individual unit or two may have been on
 17 higher, but you try to manage your unit output
 18 to get the maximum output at a particular time
 19 because of efficiency that you get out of
 20 that. So the units would have been -- that
 21 were on would have been maximum, but November,
 22 depending on the particular hour, the
 23 particular day, I can't say whether that was
 24 whether he had three units on or not, I didn't
 25 go back to look at that particular situation.

Page 93

1 Q. Are specific events such as maintenance
 2 incidents or soot blowing, those types of
 3 things, input into the model?
 4 A. No. The range -- for sulphur dioxide, the
 5 soot blowing factor is not a significant
 6 factor in terms of the sulphur dioxide
 7 emissions. It is more of a factor in terms of
 8 the particulate emissions.
 9 Q. Yes.
 10 A. But the operation of the plant is modelled on
 11 the basis of output only, the particular
 12 megawatt output or fuel consumption emission
 13 rate determined from our test, stack test.
 14 Q. So the model is going to reflect whatever
 15 happened to be going on during those days upon
 16 which the testing was done in April from the
 17 stacks, is that correct?
 18 A. The emission rate was -- yeah, that's the
 19 emission rate that is the lead emission rate
 20 for the calculation of all the other emission
 21 rates that are determined for the hourly
 22 basis, yeah.
 23 Q. So do we know whether or not there were any
 24 unusual conditions affecting the emissions
 25 during that time or not?

Page 95

1 sense what those results might show?
 2 A. No. For a modelling exercise, you'd have to
 3 input the particular output conditions,
 4 emission rates, and emission gas flow and
 5 temperature associated with a meteorological
 6 condition of the time to be able to give you
 7 any -- you can't really estimate that. You've
 8 got to run it through the model and see what
 9 the output is.
 10 Q. But generally speaking, the emissions overall
 11 will reduce with less fuel being burned?
 12 A. The emission rate will reduce, yes. The grams
 13 per second emission rate is lower with less
 14 fuel consumed because the sulphur content is
 15 set for the fuel so the quantity of fuel
 16 burned is less.
 17 Q. And whether or not that will impact the
 18 highest measured prediction is going to depend
 19 on what output happens to be at a particular
 20 time and the meteorological emissions and so
 21 on at that particular moment?
 22 A. That's right.
 23 Q. Have you had any discussions with the
 24 Department of Environment since receiving the
 25 letter in February of 2006 as to what steps

Page 94

1 A. No. As I say, the rate of output will have
 2 been at a high load at the time, so it would
 3 have been capable of operating the unit at one
 4 of its higher loads, so the unit should be
 5 operating effectively and efficiently in order
 6 to be able to do that. So during the stack
 7 test period itself, as long as you're at that
 8 high load, for the most part you're assuming
 9 that things are working relatively well.
 10 Q. Okay. The results that have been adduced were
 11 based upon the actual operations during what
 12 period?
 13 A. 2004.
 14 Q. It was the calendar year 2004?
 15 A. This particular report was calendar year 2004,
 16 yes.
 17 Q. Okay. Has there been any effort to rerun the
 18 model with the inputs being modified to
 19 reflect a lower level of production as a
 20 result of decreases in load on the hydro
 21 system generally?
 22 A. Since this --
 23 Q. Yes.
 24 A. No.
 25 Q. Is it possible to predict within a qualitative

Page 96

1 Hydro should be considering to deal with the
 2 Department's allegation of non-compliance?
 3 A. No. I guess, the -- the straight answer is
 4 no. The certificate of approval stipulates
 5 what you have to do, I guess, if you're
 6 determined to be non-complaint, what steps you
 7 have to take to then move towards improving
 8 compliance if you take action.
 9 Q. I'd like to refer you to the reply to CA 18,
 10 and specifically the document at CA 18A, which
 11 is the Guidance Document entitled
 12 "Determination of Compliance with the Ambient
 13 Air Quality Standards".
 14 A. Yes.
 15 Q. At page ten of that document in paragraph nine
 16 there's reference to the potential for a
 17 compliance agreement. Are you familiar with
 18 that concept?
 19 A. Yes.
 20 Q. So this is the document that presumably
 21 provides guidance for the Department in
 22 enforcing the ambient air quality standards,
 23 and it is a document that is adopted in your
 24 certificate of approval, correct?
 25 A. Yes.

Page 97

1 Q. Paragraph nine provides that if non-compliance
 2 is determined, the facility may elect to enter
 3 into a compliance agreement with the
 4 Department for the purposes of attaining
 5 compliance within a reasonable time frame, or
 6 establishing a compliant ambient monitoring
 7 network. Have you directed any thought toward
 8 what might be a reasonable time frame to
 9 address the allegations of non-compliance that
 10 the Department has made?
 11 A. My understanding of the requirements of the
 12 compliance agreement would be a time frame to
 13 institute action to bring yourself into
 14 compliance.
 15 Q. Yes.
 16 A. And on that basis the -- this also stipulates
 17 -- the Guidance Document stipulates a two year
 18 time frame for determination of compliance
 19 again to -- once you're non-compliant and you
 20 institute action, you still have the two years
 21 stack test modelling to determine compliance.
 22 Q. You're talking about the paragraph "B"
 23 reference to establishing a monitoring
 24 network, right?
 25 A. Even outside of that, the stipulation of how

Page 99

1 concept of reduction in the fuel sulphur
 2 content as opposed to mechanical removal or
 3 conditional removal at the back end, and the
 4 ability to -- the concept of whether that
 5 would be viable and acceptable.
 6 Q. Have you raised with the Department
 7 possibilities for any modifications to the
 8 operation of the Holyrood facility that could
 9 bring it into compliance without going the
 10 whole route of reducing to one percent sulphur
 11 in total?
 12 A. Not that I'm aware of, no.
 13 Q. Okay. Have you had any discussions with the
 14 Department as to what the effect might be of
 15 lower production from the Holyrood facility on
 16 an annual basis?
 17 A. No.
 18 Q. If I can get you to look for a moment at CA 6.
 19 A. Okay.
 20 Q. This was a question from the consumer advocate
 21 about the incidents where it was established
 22 that Hydro failed to meet the requirements,
 23 and there was discussion here of a number of
 24 results from the monitoring, and the results
 25 being talked about here are all monitoring

Page 98

1 you again test by modelling -- this is a test
 2 by compliance monitoring of compliance, but
 3 for modelling, it's again the two year stack
 4 tests and modelling to reconfirm.
 5 Q. But I think we have two options here in
 6 paragraph nine?
 7 A. Yes.
 8 Q. Option "A" is to enter into a compliance
 9 agreement for the purposes of obtaining
 10 compliance within a reasonable time frame,
 11 okay. That doesn't deal with establishing
 12 monitoring networks.
 13 A. Okay.
 14 Q. So my question was directed toward what would
 15 be a reasonable time frame for attaining
 16 compliance?
 17 A. We haven't had discussions with the Department
 18 of Environment that would specify a time that
 19 would be agreeable to them.
 20 Q. So have you had any discussions at all with
 21 the Department relative to potentially
 22 entering into a compliance agreement?
 23 A. Yes.
 24 Q. What have those discussions involved?
 25 A. Those discussions have involved the general

Page 100

1 results as opposed to modelling results,
 2 correct?
 3 A. That's right.
 4 Q. Okay. So in the third paragraph there
 5 starting on line 19, you refer to a review of
 6 the data and subsequent agreement with the
 7 regulator indicating the readings in question
 8 to be related to equipment calibration testing
 9 with respect to that 1362 microgram reading?
 10 A. Yes.
 11 Q. And, basically, what that means is that there
 12 was a problem with the machine and it didn't
 13 read the right result, is that fair?
 14 A. There was a -- the investigation of the
 15 incident seemed to indicate that the equipment
 16 was undergoing calibration itself, a
 17 calibration check at the time the reading
 18 occurred, so it wasn't actually reading true
 19 from the ambient air.
 20 Q. Okay. So 1362 was not a correct reading of
 21 the ambient air at that time?
 22 A. That's the indication, yeah. I guess, it was
 23 believed to be initially when the reading was
 24 identified, and there wasn't an indication in
 25 the record at the time to indicate that it was

Page 101

1 a calibration, but it was subsequently
 2 investigated and found to be reasonable to
 3 expect there was a calibration going on.
 4 Q. Now at line 22 the reference is to the
 5 readings being inconclusive due to recording
 6 anomalies, and that seems to refer to the
 7 three readings from December, 2005, which were
 8 referred to in lines 14 and 17. What do you
 9 mean by recording anomalies?
 10 A. There are two methods of recording at
 11 monitoring sites. One is a digital output
 12 onto a data logger; the other is a chart
 13 recording that should track the same, they
 14 should give you the same indication. In this
 15 case, the data logger gave the readings that
 16 were found to be non-complaint, but the chart
 17 recorder didn't record the same levels. So you
 18 had the two recording devices not recording
 19 the same.
 20 Q. Can I get you while you have that before you
 21 to also look at the reply to PUB 6. Page two
 22 of three, starting at line 16, that paragraph
 23 apparently refers to the same incident in
 24 December of 2005?
 25 A. Yes.

Page 103

1 understanding?
 2 A. Yes.
 3 Q. But there is provision for the Department to
 4 approve other modelling methods?
 5 A. Yes.
 6 Q. Are you aware of whether or not any other
 7 modelling methods are under consideration by
 8 the Department?
 9 A. Not that I'm aware of, no.
 10 Q. Does Hydro have any position as to whether or
 11 not other modelling methods ought to be
 12 considered in this regard?
 13 A. No. As I say, these are the model type that
 14 is approved for similar types of situations
 15 across many jurisdictions.
 16 Q. If we can look briefly at SGE Acres Report
 17 that was, I guess, filed with the initial
 18 application material. It's the air emission
 19 control assessment from Holyrood, dated
 20 February, 2004.
 21 MS. NEWMAN:
 22 Q. That's attached to the application?
 23 HUTCHINGS, Q.C.
 24 Q. Yes. Can you tell us who determined the
 25 objective of this study and specifically the

Page 102

1 Q. The reference in PUB 6 says, "The quality
 2 control process instituted at HTGS indicates
 3 that the monitoring equipment was performing
 4 satisfactorily at the time", but in CA 6,
 5 you're basically saying, no, the readings
 6 weren't correct?
 7 A. The monitoring equipment itself, the analyzers
 8 and that, were within spec. You've got -- the
 9 analyzer has to operate within a certain
 10 specified range for its calibration limits and
 11 that. So the indication there, the analyzers
 12 themselves were operating correctly, but as
 13 the other indicated, there was a discrepancy
 14 between the two recording devices.
 15 Q. Is there some reason why that explanation
 16 wasn't included in PUB 6?
 17 A. No, no particular reason.
 18 Q. I take it that's been known for some time, has
 19 it, that this was the full explanation?
 20 A. It's been known, yeah, for -- once the
 21 anomalies were fully investigated, it has been
 22 known, yes.
 23 Q. Under the current guidelines, the CALPUFF
 24 modelling system is, in fact, the one that is
 25 approved by the Department, is that your

Page 104

1 emission targets that are referred to at the
 2 first page in the introduction, page 1-1. The
 3 first page is headed "Introduction" and in the
 4 body of the second paragraph the emission
 5 targets are laid out. Do you know who
 6 determined what those emission targets would
 7 be?
 8 A. Again there was an internal team in
 9 Newfoundland and Labrador Hydro that reviewed
 10 the options available and it was part of that
 11 team discussion, I guess, that this was set
 12 up, from my understanding.
 13 Q. I'm just curious as to how the third emission
 14 target is worded there, and why one would
 15 address the study to maintaining oxides and
 16 sulphur at no more than that equivalent to one
 17 percent sulphur content.
 18 A. At that time the one percent sulphur content
 19 fuel was chosen as a target because of the
 20 federal regulatory initiative or consultation
 21 initiative that had been previously identified
 22 and was enacted on by Environment Canada or
 23 the federal government to review and consult
 24 with parties on regulation of federal across
 25 Canada regulation of the sulphur content in

Page 105

1 heavy and light fuel oil, and it was
 2 identifying one percent as the regulatory
 3 requirement that they were striving for or
 4 consulting related to. At that time, they
 5 didn't specify that -- they were consulting on
 6 the basis of specifying one percent sulphur
 7 fuel rather than a recovery to equivalency of
 8 one percent sulphur fuel, but that we felt
 9 should be an option if there were other
 10 alternatives to actually going to the one
 11 percent sulphur fuel, it may be advisable or
 12 arguable that, if economically for individual
 13 situations, it was more viable to go to an
 14 alternate process that had the same
 15 equivalency, such as a flue gas
 16 desulphurization or other alternative, that
 17 that should be looked at as well.
 18 (12:00 noon)
 19 Q. And just turning over to page 1-2 under the
 20 heading "B" in the second sentence there, a
 21 remark is made -- this may be in talking SO2
 22 levels to acceptable levels. It says, "This
 23 may be achieved by a less costly partial
 24 switch in which low sulphur fuel would be used
 25 during heavy load periods and high sulphur

Page 107

1 that and respond separately. Is that okay?
 2 Q. Oh, sure. So as of this stage, that
 3 possibility hasn't been explored any further
 4 so far as you are aware?
 5 A. It may be my lack of memory, so I can't say
 6 for sure.
 7 Q. All right. Well, if you have something more
 8 that you can share with us on that, you can
 9 make your counsel aware and I'm sure he'll
 10 provide us with additional information.
 11 CHAIRMAN:
 12 Q. Would you like an undertaking to come back?
 13 HUTCHINGS, Q.C.
 14 Q. Well, it's entirely in the witness' hands as
 15 to whether or not he can come up with
 16 something more. If he does, fine; if he
 17 doesn't, so be it.
 18 MR. YOUNG:
 19 Q. If that's determined later on this afternoon,
 20 perhaps we can introduce that evidence by some
 21 agreeable means. I don't know how that would
 22 work yet, but we can probably -- it would
 23 depend on the nature of evidence, if any.
 24 MS. NEWMAN:
 25 Q. We'll sort it out and report back on Monday

Page 106

1 fuel during light periods". Is there some
 2 reason why Hydro has not put that forward as
 3 an option here?
 4 A. I'm trying to recall the discussions of the
 5 team related to that. I can't recall exactly,
 6 so I wouldn't want to speculate on it. I
 7 can't recall. I know when we looked at the --
 8 it doesn't relate there. I'm trying to think
 9 if the discussion also was around switching to
 10 light fuel oils which automatically have low
 11 sulphur content in them, and that was
 12 determined to be a more costly alternative to
 13 it, but other than what is specified in the
 14 report, I can't exactly recall the
 15 discussions, and whether that is articulated
 16 later on in the report in parts of its
 17 recommendations.
 18 Q. No, I couldn't find any further specific part
 19 of the report that addressed that potential,
 20 but it did seem that it would be a reasonable
 21 approach, and, I guess, we were surprised that
 22 there wasn't some more detailed consideration
 23 of it.
 24 A. I'd have to get back to you. I can't recall
 25 exactly right off. I might have to look at

Page 108

1 perhaps.
 2 HUTCHINGS, Q.C.
 3 Q. Thank you, Mr. Chair. Those are all my
 4 questions.
 5 CHAIRMAN:
 6 Q. Thank you, Mr. Hutchings. Good afternoon, Mr.
 7 Johnson.
 8 MR. JOHNSON:
 9 Q. Good afternoon, Mr. Chairman.
 10 MR. FRANK RICKETTS - CROSS-EXAMINATION BY MR. JOHNSON:
 11 Q. Mr. Ricketts, the application and your
 12 comments when you were on direct, you
 13 indicated we're obviously constrained by what
 14 the law tells us to do, whether it be
 15 environmental law, and law in relation to the
 16 Public Utilities Board jurisdiction in terms
 17 of what it can order. I just want to ask you
 18 a couple of general questions first. The
 19 Acres study indicates, and just for the record
 20 this is at page 2-2, that the Holyrood station
 21 is subject to an annual cap of 25,000 tons of
 22 SO2 emissions, and I note in the record that
 23 that's not explained where that cap comes
 24 from. Could you advise me where that cap
 25 comes from?

Page 109

1 A. Sure. That was in the early 1990s. The
 2 federal government and the provincial
 3 government conjointly got together and
 4 determined that they would set provincial
 5 level sulphur dioxide emission caps in
 6 response to concerns related to acid rain
 7 along the Eastern Canadian -- Eastern
 8 Continent both in the US and Canada, and the
 9 federal government was of the concern that
 10 they had to -- they needed to have caps set
 11 within Canada in order to be able to
 12 adequately negotiate caps in the United
 13 States. At that time, Newfoundland government
 14 and the Canadian government agreed to a cap
 15 of, my understanding was, 45,000 tons of
 16 sulphur dioxide in total for Newfoundland and
 17 Labrador's output, and the Minister of
 18 Environment requested Newfoundland and
 19 Labrador Hydro limit its overall sulphur
 20 dioxide outputs in a year, and the Chief
 21 Executive Officer wrote to the Minister of
 22 Environment at that time and agreed to a
 23 25,000 ton sulphur dioxide cap in an average
 24 water year. That was actually -- well, it
 25 predated the 1990s, in the late 80s that the

Page 111

1 that regulation, specifically who is to
 2 achieve what.
 3 Q. So the overall provincial cap has gone up over
 4 time from where it had been earlier?
 5 A. Slightly it's -- since all the other
 6 provincial ones have gone down, they've
 7 recently -- Nova Scotia, New Brunswick and
 8 Ontario recently diminished their caps by
 9 agreement with the federal government.
 10 Q. And how does Hydro determine in any particular
 11 year whether it has exceeded this 25,000 ton
 12 cap?
 13 A. There's an agreed calculation, a methodology
 14 that's agreed to with the Department of
 15 Environment and Conservation, and we annually
 16 do that calculation based on -- it's based on
 17 the sulphur content of the fuel, the API or
 18 specific gravity of the fuel, and the overall
 19 volume of fuel consumed, to determine whether
 20 we're complaint or not.
 21 Q. And how is Hydro doing in terms -- relative to
 22 the requirements of that 25,000 ton cap?
 23 A. In years that we've had high water levels in
 24 our reservoirs it's been achieved and more
 25 than achieved, and we have never exceeded the

Page 110

1 negotiations were ongoing. The cap was in
 2 effect from 1991 onward, and the discussions
 3 between the federal government and the United
 4 States government, as I understand, was on the
 5 basis of a sulphur dioxide level cap overall
 6 that would be instituted in a base year of
 7 1994.
 8 Q. And is the 25,000 ton max still in place?
 9 A. The max is in place -- that letter is still
 10 apparent and still there from Newfoundland and
 11 Labrador Hydro to limit itself. We haven't
 12 received any further requests from the
 13 Department of Environment and Conservation to
 14 vary that or change it, although they have in
 15 discussions at times indicated that they would
 16 like to see the maximum at 20,000 tons, but
 17 they haven't asked strictly that that be
 18 agreed to. They have instituted in the Air
 19 Pollution Control Regulations now a variance
 20 on the provincial cap overall to 60,000 tons.
 21 So that has been set by regulation in the Air
 22 Pollution Control Regulations that
 23 Newfoundland and Labrador's total SO2
 24 emissions will be limited to 60,000 tons.
 25 They haven't specified, as far as I'm aware in

Page 112

1 cap. In high production years at Holyrood,
 2 we've moved into the 22 to 23,000 ton range, I
 3 think.
 4 Q. And just going off some memory now, there's
 5 been years in the not too distant past where
 6 Hydro Holyrood facility consumed well in
 7 excess of three million barrels of oil and
 8 still was within that cap?
 9 A. Yes.
 10 Q. And --
 11 A. We did at the time -- I'm sorry, I don't mean
 12 to interrupt you.
 13 Q. That's fine.
 14 A. We did take the initiative in order to comply
 15 with the cap in our projected production
 16 levels, I guess, when the Chief Executive
 17 Officer made that commitment. We were
 18 burning, I believe, 2.8 percent sulphur fuel
 19 prior to that and we did reduce our sulphur
 20 content to 2.2 percent sulphur fuel in order
 21 to ensure compliance.
 22 (12:15 p.m.)
 23 Q. In terms of rounding out the legal framework a
 24 little bit more, to your knowledge, is there
 25 any jurisdiction in the country that would

Page 113

1 mandate that you have to burn one percent
 2 sulphur fuel or less?
 3 A. The federal government has still got that on
 4 the books as part of their review package that
 5 they will be looking at overall in Canada to
 6 limiting the sulphur content of heavy fuel to
 7 one percent. There are agreements, I believe,
 8 in place in Ontario between Ontario Hydro and
 9 the Ministry of Environment or the Government
 10 of Ontario that limits the sulphur content of
 11 their fuels when they burn it. As indicated
 12 in the Acres Report, there are limitations by
 13 States in the US related to sulphur content of
 14 fuel.
 15 Q. If you could turn to CA 5 for the moment.
 16 That's the letter from the Minister. That
 17 letter indicates that in the view of the
 18 Department, that the emissions of both sulphur
 19 dioxide and nitrogen oxides from the Holyrood
 20 facility is non-complaint with ambient air
 21 quality standards.
 22 A. Yes.
 23 Q. Is the proposal of Hydro with respect to the
 24 burning of the one percent sulphur fuel and
 25 the cost recovery of it, is that anticipated

Page 115

1 basis of a very low exceedance. Our maximum
 2 was 405, and the regulatory limit is 400. So
 3 the potential is there that it could -- again
 4 that's a modelling exercise, a one year
 5 modelling exercise, and it depends on future
 6 modelling to determine that. The other factor
 7 that's there is the modelling was based on
 8 overall nitrogen oxides emissions tests and
 9 the significant concern with nitrogen oxides
 10 is on the basis of NO2, because it's a
 11 precursor in the atmosphere, the formation of
 12 ground level ozone. So whether the full
 13 component of the emissions of nitrogen oxides
 14 are NO2 or a mixture of NO and NO2, and so on,
 15 is not determined, so we also feel that
 16 there's an avenue for compliance related to
 17 that, but the potential is that it's not all
 18 NO2, although the majority of it likely is in
 19 the combustion process.
 20 Q. Before I forget the point, in your response to
 21 questioning from Mr. Hutchings, you spoke
 22 about the -- I think it was the 1362 reading
 23 and the digital readout was not jiving with
 24 the graphic readout?
 25 A. Yes.

Page 114

1 to cause compliance with respect to the
 2 nitrogen oxides?
 3 A. Again it was on the basis of the modelling
 4 that they determined non-compliance, and the
 5 reduction in the sulphur content of the fuel
 6 will have a low impact -- it should have a low
 7 reduction in the overall nitrogen emissions in
 8 that the nitrogen oxides are formed in the
 9 combustion process in two ways. The nitrogen
 10 comes from two sources for that. One is from
 11 the nitrogen content in the fuel, and the
 12 other is from the nitrogen content in the air
 13 that's used to assist in the burning of the
 14 fuel. The majority of it comes from the air.
 15 So the combination of the oxides and the
 16 nitrogen, the majority of the source of the
 17 nitrogen comes from the air supply, but
 18 there's some percentage that comes from the
 19 fuel. The expectation of the lower sulphur
 20 fuel is that the nitrogen content of the fuel
 21 also will be slightly lower, it's a cleaner
 22 fuel. So it will have a marginal effect on
 23 that, and can't be certain whether that effect
 24 is substantial enough to be able to effect
 25 this conclusion, but the conclusion is on the

Page 116

1 Q. And the digital one, as I understand it, was
 2 showing the 1632?
 3 A. Yes.
 4 Q. Do you know offhand what the graphic reading
 5 was showing?
 6 A. I don't right off -- I know it wasn't showing
 7 a high level, but I didn't look at the chart
 8 to read it myself, no.
 9 Q. In CA 15, if you could refer to that for a
 10 second. In reference to the question in CA
 11 15, the answer provides that in order to --
 12 operating improvements could be achieved
 13 through upgrades in the combustion system for
 14 a significant reduction in the emissions of
 15 nitrogen oxide at an approximate cost of four
 16 million dollars. In terms of -- do we know
 17 the likelihood of whether or not you'd have to
 18 proceed with the four million dollar capital
 19 expenditure in order to deal with the nitrogen
 20 oxide?
 21 A. To deal with the level that we've been shown
 22 in our modelling and monitoring?
 23 Q. Yeah.
 24 A. I don't know. If we continue to show modelled
 25 non-compliances, the Department of

Page 117

1 Environment's perspective, I guess, is we
 2 would be non-complaint and action would be
 3 necessary, but they have indicated in the past
 4 a willingness to look at the NO2 as the real
 5 concern, so the nitrogen oxides concern would
 6 be reduced on the basis of that. So it
 7 wouldn't be -- it would then not be non-
 8 complaint if that was determined to be the
 9 case based on the level of -- level that we
 10 received in the past modelling. So it would
 11 seem to be, you know, not a big concern that
 12 we would have to go to that level, at least
 13 for compliance on the basis of ground level
 14 concentrations in the regulatory context right
 15 now. There is a federal government Guidance
 16 Document for new facilities that has
 17 identified an emission target or an emission
 18 level that is much less than what we achieve
 19 right now in the Holyrood plant, but that is a
 20 document that's applied by both the province
 21 and the federal government to new facilities
 22 only. Right not it's not, and I'm not aware
 23 of any indication that it's intended to be
 24 used at this time to existing facilities.
 25 Q. Okay, fair enough. If I could ask you to go

Page 119

1 A. The particular situation at Holyrood, it is
 2 problematic to chase down the specific
 3 locations that the model shows of the highest
 4 highs of potential non-compliance, the highest
 5 highs of ground level concentration. The area
 6 is developed around that. We've got -- Indian
 7 Pond is adjacent to there, so you have a pond
 8 occupying a particular amount of area
 9 surrounding the plant, we have residences and
 10 cottages occupying some of the land that
 11 surrounds there as well.
 12 Q. And I'm referring to paragraph 9 of that which
 13 is on page 10. As I read the scheme, on the
 14 basis of the dispersion modelling, Government
 15 says or the Department says, you're either
 16 compliant or non-compliant and then the
 17 question then becomes, how do we get back on
 18 the compliant wagon, essentially and paragraph
 19 9 sets out a couple of means, one of which is
 20 establishing a compliance ambient monitoring
 21 network, as we've been told this morning. Is
 22 Hydro in a position to put this forward, the
 23 establishment of a compliance ambient
 24 monitoring network as a possible means of
 25 showing the Department, look, we do have

Page 118

1 to CA 18, and, in particular, the Guidance
 2 Document regarding compliance determination,
 3 and I'm referring to paragraph nine of that
 4 which is on page ten, and as I read the
 5 scheme, on the basis of the dispersion
 6 modelling, government says or the Department
 7 says you're either compliant or non-compliant,
 8 and then the question then becomes how do we
 9 get back on the compliant wagon essentially,
 10 and paragraph nine sets out a couple of means,
 11 one of which is establishing a compliance
 12 ambient monitoring network as we've been told
 13 this morning. Is Hydro in a position to put
 14 this forward, the establishment of a
 15 compliance ambient monitoring network as a
 16 possible means of showing to the Department,
 17 look, we do have compliance after all, if you
 18 look at what our monitoring is able to show us
 19 over -- as I understand it, after two years of
 20 monitoring, the facility would be deemed
 21 compliant if we show compliance at all
 22 locations within the time frames. Is Hydro in
 23 a position to say, look, you should be looking
 24 at this as an election that we are able to
 25 make?

Page 120

1 compliance after all, if you look at what our
 2 monitoring is able to show us? Because as I
 3 understand it, after two years of monitoring,
 4 the facility will be deemed compliant if we
 5 show compliance at all locations within the
 6 time frames? Is Hydro in a position to say,
 7 look, you should be looking at this as an
 8 election that we are able to make.
 9 A. The particular situation at Holyrood, it is
 10 problematic to chase down the specific
 11 locations that the model shows of the highest
 12 highs of potential non-compliance or the
 13 highest highs of ground level concentration.
 14 The area is developed around that. We've got
 15 a--Indian Pond is adjacent to there, so you
 16 have a pond occupying a particular amount of
 17 the area surrounding the plant. You have
 18 residences and cottages occupying some of the
 19 land that surrounds there as well. So, land
 20 availability, finding a site that has the
 21 specific clearance requirements for your
 22 sampling protocols, power source and access
 23 and stability can be problematic instituting
 24 that kind of a regime. And the modelling
 25 itself, as I say, the degree of variance when

Page 121

1 you're in close to a plant, a facility that's
 2 your emitter and you find your non-compliance
 3 or highest highs in close to that, it doesn't
 4 take a whole lot of degrees variance on the
 5 wind direction to change your location of your
 6 highs. The monitoring set ups themselves are,
 7 although you can develop and institute a more
 8 mobile set-up, it's not amenable to a lot of
 9 changes to it because of the requirements for
 10 quality control. So, it's difficult to say at
 11 this time that we would be able to institute a
 12 compliance monitoring viably there that meets
 13 those requirements of getting into locations
 14 of the highest highs and provides for quality
 15 control monitoring location. We do have two
 16 monitoring sites that are on--one of which is
 17 at Indian Pond Drive. Right now that's the
 18 newest one that we put in place two years ago,
 19 that is down in that general location. It's
 20 on an individual's private property, but they
 21 have a trailer located there themselves and
 22 they don't have a lot of use. They use it for
 23 periodically during the summer. We have
 24 another monitoring site on Indian Pond Road,
 25 that's on the edge of the projected zone of

Page 123

1 their agreement on a proposal in order to do
 2 it.
 3 Q. Okay. And so there was no step taken by Hydro
 4 to put forward a proposal as to further
 5 monitoring?
 6 A. We had instituted new monitoring two years
 7 ago, but none since that, no. And this, I
 8 guess, the determination game in September, so
 9 we were in the latter stages of the
 10 discussions related to the Certificate of
 11 Approval at that time and we were still on the
 12 road of our modelling for that year.
 13 Q. Has the Department ever told Hydro point blank
 14 that, you know, despite your efforts in
 15 putting these monitoring sites in place and
 16 the monitoring equipment in place, that this
 17 would not cut it from the point of view of
 18 electing, you know, Paragraph 99(b) compliance
 19 under that document?
 20 A. Yes, I guess in the letter they've indicated
 21 to us that or whether it was in the letter or
 22 separate, indicated to us what we have is
 23 ambient air monitoring network. It's not a
 24 compliance monitoring network. So, what we've
 25 got is a method for determining in general the

Page 122

1 the highest highs right now. Both of those
 2 monitoring sites are fully operational in that
 3 they--and they provide some data, but they
 4 aren't necessarily in the right locations for
 5 the highest highs either.
 6 So, I guess we're not in the position to
 7 be able to say that we could institute a
 8 compliance monitoring.
 9 (12:30 p.m.)
 10 Q. Well, has Hydro ever said to the Department,
 11 look, what other monitors and where should
 12 they be located, what would we have to do if
 13 we were going to try to elect to prove to your
 14 folks that after years, our readings are
 15 compliant with these monitorings? Has Hydro
 16 ever had that discussion with Government?
 17 A. We did briefly, as part of the Certificate of
 18 Approval process, we asked what would be
 19 required in order to prove the compliance.
 20 And, in essence, we were told that Hydro would
 21 have to move forward a proposal for specific
 22 locations and reach their agreement that they
 23 weren't--the Department of Environment doesn't
 24 specify how you have to do it, or in terms of
 25 the specific locations, you have to reach

Page 124

1 ambient air quality, but its' not a strick
 2 compliance air quality regime monitoring
 3 regime.
 4 Q. And I take it Hydro's understanding is that
 5 the Department's position is that what's on
 6 the ground would not be eligible to be a
 7 compliance monitoring network.
 8 A. Yes.
 9 Q. And had they ever stated that in writing?
 10 A. Not that I'm aware of, no.
 11 Q. And when did they make this position know to
 12 Hydro?
 13 A. That would have been, I guess, in the latter
 14 stages of receiving the Certificate of
 15 Approval. So, I'm not sure, you know, if it
 16 was January or February or December time
 17 frame.
 18 Q. Do you have any idea as to how much these
 19 monitoring stations costs each?
 20 A. Yes, our monitoring stations now monitor for
 21 sulphur dioxide, nitrogen oxides, total
 22 suspended particulate and fine particulate pm
 23 2.5 and they're in the range of 250 to
 24 \$350,000.00.
 25 MR. YOUNG:

Page 125

1 Q. I wonder, Mr. Chair, if I could just ask--I
 2 know I'm speaking out of turn--was that each
 3 or is that for all of them together? You just
 4 gave a figure and I'm not if the question is
 5 meant -
 6 MR. JOHNSON:
 7 Q. My intent was to ask, each.
 8 MR. YOUNG:
 9 Q. Each, okay.
 10 A. For each monitoring -
 11 MR. JOHNSON:
 12 Q. Yes.
 13 A. Each monitoring set up includes that full
 14 package right now that we have there and
 15 that's required under the Certificate of
 16 Approval, that each monitoring site has that
 17 capability. So, separately, a sulphur dioxide
 18 monitor would cost you, I think around 70 or
 19 \$80,000.00, set up and then you have to house
 20 it. So, part of the overall general cost is
 21 the housing capability and the climate control
 22 within the building and the access requirement
 23 for that set up and so on. So, the analyzers
 24 themselves costs 70 to \$80,000.00 perhaps, but
 25 the overall set up then has a cost to it as

Page 127

1 would be less money at risk.
 2 A. For the cost of the individual monitoring
 3 sites, yes, but again, the problem is trying
 4 to institute a compliance monitoring network
 5 there that satisfies the requirements of
 6 getting into the worst case situation. The
 7 model is used by the Department of
 8 Environment, I guess, to determine what the
 9 worse case situations are and the probability
 10 of having exceedances. And you have to, in
 11 order to satisfy that by monitoring, you have
 12 to put those locations in the particular
 13 situation as well. And that may change again,
 14 those locations may change again if modelling
 15 again shows meteorological conditions that vary
 16 and your again, out chasing another highest
 17 high location.
 18 Q. But I take it all the current monitoring
 19 stations, their placement was specifically
 20 approved by the Department as being in areas
 21 of high expected ground level concentrations?
 22 A. No necessarily the highest. They were ones
 23 that were achievable, representative and have
 24 approximations to the highest locations, I
 25 guess, but still had reasonableness of being

Page 126

1 well.
 2 Q. I take it, it would be a fair statement to say
 3 that, you know, Hydro in this application is
 4 looking to achieve compliance with the
 5 emission regulations, etcetera, just basically
 6 by trying to satisfy these modelling results,
 7 would that be a fair statement on my part?
 8 A. Well, the modelling is representative of the
 9 overall air quality. If you accept the
 10 modelling as representative of the overall air
 11 quality, yes, that's what we're trying to do.
 12 That's the requirement of the Department of
 13 Environment that you satisfy them by modelling
 14 the spaces.
 15 Q. And given as we've heard that this modelling
 16 is subject to fairly significant over and
 17 under prediction, as we found out from your
 18 examination by Mr. Hutchings. Would it be
 19 fair to say that an expenditure of one percent
 20 sulphur fuel could be much, much riskier in
 21 terms of whether we're going to get there at
 22 the end of the day, in terms of the modelling,
 23 then say further investigating whether the
 24 compliance monitoring network would produce
 25 the compliance under the legislation, there

Page 128

1 able to put a monitoring site there in terms
 2 of the access, the power source, the viability
 3 of doing quality control on it, having the
 4 conditions in the location that permitted you
 5 to have air flow across the monitors
 6 unobstructed air flow and that kind of stuff.
 7 Q. Mr. Ricketts, are there any other specific
 8 potential sites for monitoring that your
 9 department of Hydro has looked at and you've
 10 said, it's too bad we can't get there because
 11 we've investigated it, it's too difficult to
 12 acquire the land, we don't know if we can get
 13 a power source in there. Has there been any
 14 specific sites that, you know, if Hydro had as
 15 druthers, they would have, but that have been
 16 investigated that you hadn't been able to
 17 proceed with?
 18 A. In the past, the problem areas have been on
 19 high terrain features and those have been very
 20 problematic to try to get in there, initially
 21 in the monitoring set-up, you know, Kelly's
 22 Mountain and those areas, those high terrain
 23 features, it's very hard to get anything in
 24 there that would be viable in terms of
 25 monitoring. We'd wanted to because that's

Page 129

1 where the highest highs were recording and we
 2 were seeing evidence of that, I guess, at
 3 times with the plume from the stack coming
 4 back onto those features as well. Plume
 5 leaving the stack and coming back on there.
 6 So, detecting whether that highest high is
 7 actually true and those locations would have
 8 been something that we would have desired to
 9 do, but weren't able to do.

10 Q. Did you then investigate whether you could
 11 find a site that would be the next best thing
 12 to putting it there?

13 A. That's where the Butter Pot and the Lawrence
 14 Pond site are, you know, approaching those
 15 areas, but they're not directly within those
 16 areas, but they do provide the closest access
 17 and closest power source, closest viability
 18 for creating a site that is allowed for
 19 quality control.

20 Q. The latest modelling results that are referred
 21 to in response to PUB 5. I think I've
 22 directed both yourself and myself to the wrong
 23 document. What I'm referring to is the latest
 24 modelling finding that, the maximum one hour
 25 standard for sulphur dioxide within an area of

Page 131

1 Q. Okay. And then the maximum three hour
 2 standard within an area of 1.7 square
 3 kilometres was over .8 percent of the
 4 available three hour period, I take it. How
 5 do those model exceedances compare to previous
 6 years model exceedances?

7 A. Our previous modelling had been showing higher
 8 highs and longer percentage frequency.

9 Q. And would this have represented the best
 10 modelling result that Hydro has ever received
 11 regarding the sulphur dioxide?

12 A. Yes.

13 Q. And is there any explanation for why that
 14 would be the case?

15 A. We did use a different approach in this
 16 modelling set in the meteorological
 17 specifications. In the past modelling we had
 18 used St. John's Airport, Gander and Argentia.
 19 Meteorological conditions in the CALPUFF
 20 modelling which takes all of those areas and
 21 rationalizes to the meteorological conditions
 22 of the area. In this case, we use a forecast
 23 process that has been approved by the USEPA
 24 and they have identified spot locations in
 25 North America that they use, they forecast the

Page 130

1 2.2 square kilometres would be exceeded for
 2 .06 percent of available hours. Just trans -

3 MR. YOUNG:

4 Q. It is PUB 5.

5 MR. JOHNSON:

6 Q. It is PUB 5?

7 MR. YOUNG:

8 Q. It is the last sentence, second last -

9 MR. JOHNSON:

10 Q. Okay.

11 HUTCHINGS, Q.C.:

12 Q. It's page 2 of 2.

13 MR. JOHNSON:

14 Q. Yes, I'm sorry. Can you just translate that
 15 into the number of hours a year that this
 16 might be occurring? Is it possible to do
 17 that?

18 A. The statement that 2.2 square kilometres at
 19 .06 percent?

20 Q. Yes.

21 A. That translates into about 5 hours during the
 22 year.

23 Q. Okay. And that's according to the modelling,
 24 just to understand that point?

25 A. Yes.

Page 132

1 meterological conditions for specifically in
 2 use in modelling purposes. And we use that
 3 for this series of modelling or 8 points in
 4 the local area, not specifically all within
 5 the boundaries of our modelling zone, but in
 6 the general area. And that was used this time
 7 and considered to be more representative of
 8 the actual meterological conditions because
 9 they tended to show more west south west
 10 prevalent wind conditions than the St. John's
 11 Airport data showed for the same period. And
 12 the topographical features in the area are
 13 generally trending that way.

14 (12:45 p.m.)

15 Q. Is there--I find this material rather
 16 interesting actually, but one of the questions
 17 I had in my mind was, is there any way to
 18 translate these predicted exceedances, you
 19 know, into tonnes of sulphur dioxide that
 20 would be put into the environment over and
 21 above what would be put into environment if we
 22 were within compliance, as we would be 99
 23 percent of the time or is that too simplistic
 24 a way of looking at it?

25 A. I can't say that I can think of an easy way of

Page 133

1 calculating that, no, accurately.
 2 Q. So, is it possible to say, come again another
 3 way, whether that under those predictions that
 4 Hydro would be put offside in the law in terms
 5 of the environmental regulations? I think
 6 Schedule C to the environmental regulations
 7 speaks of maximum allowable annual emission
 8 without an administrative penalty, and it puts
 9 it at 20 tonnes a year.
 10 A. Yes.
 11 Q. I guess at some point or other if the province
 12 were to decide to come forward with
 13 administrative penalty, it'd have to determine
 14 the amount of the exceedance and certainly
 15 whether you got over the 20 tonnes.
 16 A. Yes.
 17 Q. And that's where I'm sort of driving at it,
 18 you know how they would -
 19 A. Well, that would be on the overall volumetric
 20 calculation that we've got. You have a 1
 21 percent sulphur fuel, you burn a particular
 22 quantity of fuel over a period of time and it
 23 has a specific gravity that affects the weight
 24 of the emissions. So, that calculation will
 25 give you volumetric calculation of the amount

Page 135

1 Q. Do we know from these models that there's an
 2 absolute guarantee that even if you went to .6
 3 percent sulphur that, you know, under no
 4 circumstances under the modelling would you
 5 have an exceedance?
 6 A. Not on the basis of the modelling that we've
 7 done. As I've said, this was a one year model
 8 run and so you're not over the time frame that
 9 normally would be required to determine worse
 10 case or is agreed to that would normally
 11 specify worse case. It's possible that it
 12 occurs in there, but it's possible that it
 13 doesn't as well.
 14 Q. The reading that's referred to at CA 9, this
 15 is a pretty high reading, 3147 units per cubic
 16 meter. Yes, I'm reading now page 1 of 3 of
 17 Hydro's reply -
 18 A. Yes.
 19 Q. - at lines 22 to 25, the Completed Air
 20 Dispersion Modelling for the Holyrood Thermal
 21 Generating Stations 2004 emissions indicated a
 22 maximum one hour ground level concentration of
 23 3147 for sulphur dioxide. Now, would there be
 24 a monitoring station very handy to where that
 25 would--you would have got that high value in

Page 134

1 of sulphur dioxide emitted in any particular
 2 time period based on the fuel consumed.
 3 Q. And just so that I understand it, I understand
 4 that even with the switch to the 1 percent
 5 sulphur fuel, that it's still possible that on
 6 occasion to be offside in terms of the
 7 permitted sulphur dioxide emissions and
 8 concentrations, would it?
 9 A. In terms--it's an estimate only, in terms of
 10 the highest high that was recorded, you'd need
 11 to get down to, I think, a .6, around a .6
 12 percent sulphur fuel. If you did the straight
 13 calculation on percentages related to the
 14 concentration that was projected, but again
 15 that's dependent on whether, you know, you are
 16 actually, have--when you're burning 1 percent
 17 sulphur fuel at that emission rate, that you
 18 achieve then is associated with the
 19 meteorological condition that shows it. So, if
 20 that meteorological condition, if we're not
 21 burning at the same rate in the same period,
 22 whether that meteorological condition occurs
 23 again at the time that you are burning at that
 24 rate, it's an estimate at best right now and
 25 it's low frequency potential.

Page 136

1 the predictions?
 2 A. That high is probably--the new monitoring
 3 station that we have at Indian Pond Drive
 4 approaches it closest, I think. And it still
 5 could be a couple of hundred meters or so
 6 north or south of that.
 7 Q. And certainly as know that monitoring stations
 8 showed compliance.
 9 A. Yes.
 10 Q. Yes, okay.
 11 A. That was 2004, it was operational in 2004, but
 12 the latter--yes, it was operational in giving
 13 data in November of 2004. So, we would have
 14 had data for that period.
 15 Q. In terms of the problem of opacity which we
 16 heard about, I think we all know about, what
 17 the complaints have been, et cetera. And I
 18 take it the opacity exceedances are rather
 19 frequent, in Hydro's view, at the facility.
 20 A. Yes.
 21 Q. And the complaints generally are around times
 22 of soot flowing and load transition units
 23 start up, et cetera.
 24 A. Yes.
 25 Q. Okay. And as I understand the rules regarding

Page 137

1 opacity, they are--the idea is to, and the
 2 requirement is to maintain opacity at 20
 3 percent on a six minute running average base
 4 is not exceeding 25 percent for more than six
 5 minutes in any one hour period, except for
 6 starting a new fire, in which event the limits
 7 are not exceeding 40 percent for one six
 8 minute period and the first 30 minutes after
 9 such new fire has started. Is that the goal
 10 for compliance?
 11 A. Yes.
 12 Q. And do I understand that it's the larger
 13 particulates which has the greater effect on
 14 the opacity level rather than the smaller
 15 particles?
 16 A. Not necessarily, certainly larger are inherent
 17 on that. The opacity is a measure of the
 18 density of the particulate. It's a light
 19 transference measure. If you have an opacity,
 20 then the light is not transferring through
 21 that and you read it on the basis of the
 22 percentage of light transference across that
 23 path. So, if it's large particulate, it will
 24 certainly block the light transference and
 25 block it fairly considerably. But if there's

Page 139

1 A. Yes, part of that is in relationship to the
 2 quantity of heavy particulate as opposed to
 3 fine particulate, the variance and the
 4 concentration of each. You will have a
 5 greater effect on the heavy particulate than
 6 the fine particulate in the reduction of
 7 sulphur content of the fuel.
 8 Q. Okay. And there is some reference, brief
 9 reference, in the Acres Report at page 62
 10 where they speak about proprietary fuel
 11 additives.
 12 A. Yes.
 13 Q. Towards the top of page 62, proprietary fuel
 14 additives may provide a reduction in total
 15 particulate emissions of about 50 to 60
 16 percent is what they're suggesting. However,
 17 the additives may not achieve the required
 18 reduction in PM 10 emissions. Has there ever
 19 been any piloting or testing of these fuel
 20 additives at Holyrood to see what they can do
 21 for opacity, for the people who live around
 22 that facility?
 23 A. My understanding is not and I may not be the
 24 best person to address exactly why because
 25 there was engineering reasons for why, is my

Page 138

1 a high concentration of a finer particulate
 2 that can also have the same effect.
 3 Q. Okay. Just to--at PUB 7, I note at line 16 to
 4 17 indicates "particles larger in size than 10
 5 micrometers have a greater effect on opacity
 6 levels than smaller particles". That's as a
 7 general rule.
 8 A. It's true to say that they have a larger
 9 effect and that they can block more light
 10 transmittance, but if you have higher
 11 concentration of smaller particulate, it will
 12 have the same effect, yes.
 13 Q. And as I understand it, from the Acres Report
 14 that the switch to one percent sulphur fuel is
 15 expected to result in a 40 to 60 percent
 16 reduction in total particulates.
 17 A. That's right.
 18 Q. And that would be important in terms of the
 19 goal in trying to get to where we need to be
 20 for opacity.
 21 A. Yes, indeed, yes.
 22 Q. Okay. And Acres indicates that, can't say for
 23 sure whether it will, but it will have to
 24 require ongoing monitoring after you look at--
 25 the switch to one percent sulphur fuel.

Page 140

1 understanding. Although there are fuel
 2 additives out there that are being tested, is
 3 my understanding by other, there are none in
 4 Eastern Canada and none that are commercially
 5 available that way. There are some that are
 6 being tested and are being promoted by
 7 potential suppliers, but none has, at least,
 8 are not used commercially in this part of the
 9 world right now.
 10 Q. Are these new technology?
 11 A. I think some of it is new and some of it is
 12 not so new, but hasn't been--has a new flavour
 13 to it. So, it has been tried in the past, not
 14 been effective for some reason or another and
 15 not found to be viable in certain situations,
 16 but are being changed and reapplied.
 17 Q. Has Hydro tried to determine from other, you
 18 know, sister utilities elsewhere, wherever
 19 they may be, how they made out with trying
 20 these fuel additives?
 21 A. My understanding is yes, again, it might be
 22 more appropriate to talk to our engineering.
 23 My understanding is that we have had
 24 discussion with other utilities in other parts
 25 of the world related to their use of fuel

Page 141

1 additives.

2 Q. Do you have any sense of how expensive they

3 would be given how much fuel is generally

4 consumed at Holyrood in a typical year?

5 A. I wouldn't be able to give you a number. I

6 have a sense that they are relatively

7 expensive, yes, that they add cost.

8 Q. Who would have that type of information?

9 A. Well, Mr. Haynes may be able to address it

10 because I know it has been discussed as part

11 of the plant operation, looked at from the

12 plant perspective. So, he may be able to talk

13 to you on that.

14 MR. YOUNG:

15 Q. Yes, we'll see what we can do to get that

16 information. I have no idea of anything of

17 that nature, but I can certainly see what we

18 can do between now and 9:00 Monday morning.

19 CHAIRMAN:

20 Q. Thank you.

21 MR. JOHNSON:

22 Q. At page--I'm referring now to the report

23 that's appended to PUB 8 at page 24 of that

24 report. Paragraph number 2, one of the

25 recommended courses of action at that point in

Page 143

1 periods of time isolated sections of your air

2 heaters and isolated sections of, you know,

3 your equipment to maximize that again, to make

4 improvements to that in terms of the

5 efficiency that you get. So it's, I guess, a

6 computerized methodology for doing your soot

7 blowing that is more focussed on individual

8 areas where soot accumulates than on the

9 overall. I know that the plant has looked at

10 it, I'm not the right one to tell you the

11 reasons why or what the results of those

12 investigations are.

13 Q. Okay, those are my questions, Mr. Chairman.

14 Thank you.

15 CHAIRMAN:

16 Q. Thank you, Mr. Johnson. Good afternoon My

17 Hayes, do you have any questions?

18 MR. HAYES:

19 Q. Newfoundland Power has no questions, Mr.

20 Chair.

21 CHAIRMAN:

22 Q. Thank you very much. Ms. Newman, do you have

23 any?

24 MS. NEWMAN:

25 Q. Yes, I just have a couple of questions and

Page 142

1 that report was to research and consider the

2 use of intelligent soot flowing practices,

3 optimizing soot flowing process should reduce

4 the number of opacity excursions. And what is

5 meant by intelligent soot flowing practices

6 and has it been researched and investigated as

7 to what benefits it might provide in Holyrood.

8 (1:00 p.m.)

9 A. The plant has part--Holyrood generating

10 facility, as part of its efficiency

11 improvement goals has looked at its soot

12 flowing practices over the last number of

13 years and made some changes to those to try

14 and optimize, in terms of the efficiency that

15 it relates to, being able to keep cleaner air

16 heaters and boiler helps in the efficiency.

17 So, they feel, it's my understanding that

18 they've optimized their operations and their

19 way of doing business to get the best

20 efficiency in that way and that has helped in

21 terms of reducing the accumulation of soot and

22 the result in concentration of materials

23 during soot flowing. But there are, you know,

24 programmable components that you can put in

25 place that will look at blowing over shorter

Page 144

1 it's mainly just for clarity. The first place

2 I want to bring you to is that Guidance

3 Document that we referred to at numerous

4 occasions at question No. 18 from the Consumer

5 Advocate, and at page 10, clause 9, I

6 understand the difficulties that you've

7 communicated today about establishing a

8 compliance ambient monitoring network, but I

9 just wanted to get your comment on whether

10 that is, while perhaps difficult, whether it

11 is a practical alternative, it should be or

12 could be investigated?

13 A. It's, in my mind, I guess, not highly

14 practical that we would be able to set up a

15 monitoring system that would be able to

16 capture the ground level concentrations in the

17 areas that the model shows to be the highest

18 highs, but it's not unachievable perhaps to do

19 that.

20 Q. Okay, and if Hydro were able to do that,

21 establish a compliance and monitoring network

22 that was acceptable to the Department of

23 Environment and I guess that would be then

24 ongoing for a period of two years, would Hydro

25 then be, in your view, in compliance with the

Page 145

1 regulations?
 2 A. Until such time as the new stack testing and
 3 new modelling indicated, if there were other
 4 potential areas of non-compliance that the
 5 models showed highs in excess of the
 6 regulatory limits.
 7 Q. So for that period of time it would be in
 8 compliance?
 9 A. It's my understanding.
 10 Q. One of the other points that was raised here
 11 today was about the staging in of the move to
 12 the one percent sulphur fuel and I take your
 13 comments that Mr. Haynes perhaps would be best
 14 to speak to that, but I did want to get your
 15 opinion on whether a level, other than one
 16 percent, higher than one percent, for example
 17 1.5 percent, might in fact bring you in
 18 compliance, or is it your opinion that no, the
 19 one percent is necessary to bring you in
 20 compliance with the regulations?
 21 A. It would be my opinion that one percent is
 22 needed to give us a viable option of being in
 23 compliance on the basis of the modelling, yes.
 24 Q. And then the last question relates to timing.
 25 I note from Hydro's response to PUB 1, that

Page 147

1 A. Yes.
 2 Q. So that's annually?
 3 A. Yes.
 4 Q. And each of those annual modelling reports has
 5 shown ground levels of sulphur dioxide
 6 concentrations in excess, so you've had
 7 exceedances in each of those modelling reports
 8 since 1995?
 9 A. Yes, we have.
 10 Q. So would I understand then that Hydro has been
 11 non-compliant every year since 1995?
 12 A. On the basis of the modelling we have, yes.
 13 Q. Okay, would Hydro have been issued a letter of
 14 non-compliance every year since 1995?
 15 A. No, we have not.
 16 Q. Is this the first year that Hydro's been
 17 issued a letter?
 18 A. As far as I'm aware, yes.
 19 Q. So what's happened since 1995 every year when
 20 you've been non-compliant, I mean, what has
 21 Hydro done? I mean, if you've been non-
 22 compliant based on the same methodology that's
 23 been in use -
 24 A. Yes.
 25 Q. - have you installed new monitoring stations

Page 146

1 Hydro began purchasing the one percent,
 2 sulphur fuel in January of this year and has
 3 moved to burning that fuel now, at this point
 4 in time, and I just wanted to get clarity on
 5 when Hydro was seeking to have this change
 6 reflected in its rates, would it be July 1 for
 7 Newfoundland Power?
 8 A. That would be Mr. Hayne's question, I think.
 9 Q. Okay, all right.
 10 MR. YOUNG:
 11 Q. Might be a Mr. Young question.
 12 MS. NEWMAN:
 13 Q. I guess we'll find out on Monday who is going
 14 to answer that one. That's all my questions.
 15 CHAIRMAN:
 16 Q. Thank you, Ms. Newman. We move now to any
 17 Board questions. Ms. Whalen?
 18 MS. WHALEN:
 19 Q. Good afternoon, Mr. Ricketts. My questions
 20 actually will just follow up on what Ms.
 21 Newman was referring to, and I guess it refers
 22 back first to PUB 5 and see if I understand
 23 this correctly now. Hydro has been performing
 24 dispersion modelling testing based on their
 25 stack ratings, I guess, since 1995?

Page 148

1 or, you know, have you undertaken any measures
 2 to put yourself into compliance in previous
 3 years?
 4 A. The 1995 was the first year of modelling on
 5 the basis of the agreement that was reached in
 6 '94, and at that stage, the agreement
 7 indicated that we would do the determination
 8 of the emission rates, stack testing, that we
 9 would report to a stack test, that we would
 10 have the four monitoring sites that we had in
 11 place, instituted and quality controlled and
 12 the information from that submitted to the
 13 Department on a monthly basis, and that we
 14 would do the calculation of the volumetric
 15 emissions and produce an annual report that
 16 identified that and submit it to the
 17 Department of Environment and that we would do
 18 the modelling each year and submit those
 19 results to the Department of Environment. So
 20 the results of those were submitted to the
 21 Department of Environment for their
 22 consideration. They have, in the interim,
 23 came back occasionally with changes to the
 24 calculation methodology, fine tuning of the
 25 calculation methodology, commented on the

Page 149

1 modelling parameters and the inputs the
 2 modelling parameters and we've tried to fine
 3 tune those and work with them to ensure that
 4 the modelling is most representative. They
 5 have changed the modelling methodologies
 6 occasionally to adopt--as I say, we started
 7 off with a USCPA approved models set and then
 8 once they switched to a new set, we switched
 9 to that new set and whatever. The plant has
 10 instituted the efficiency programs that have
 11 resulted in the greater--less use of fuel for
 12 the same output, so we've tried to improve our
 13 things that way. We have had studies, effects
 14 monitoring studies that have gone out and
 15 determined, looked for evidence of damage to
 16 vegetation in the local area and we've
 17 reported those to the Department of
 18 Environment when they've become available. We
 19 had done soil sampling in the area for
 20 sulphates and vanadium and nickel to
 21 characterize whether there's deposition and
 22 increase level of those in the local
 23 environment. We have had a health risk
 24 assessment, a human health risk assessment as
 25 well that we completed in 1999 and we're

Page 151

1 Q. So as of right now, based on that letter,
 2 February 2006 and it's been determined that
 3 Hydro is non-compliant and then Sections 9, 10
 4 and 11 seem to set up the path that Hydro can
 5 elect to take once it's been determined that
 6 you're non-compliant, that's the way that
 7 reads to me, so "Hydro could elect to enter
 8 into a compliance agreement with the
 9 Department for the purposes of", so are you in
 10 discussions now with the Department of
 11 Environment with respect to a compliance
 12 agreement?
 13 A. Not at present, we, during the negotiations
 14 associated with the Certificate of Approval or
 15 discussions associated with the Certificate of
 16 Approval, we also discussed the compliance
 17 agreement as an option. We weren't able to
 18 reach agreement with them on finalizing that,
 19 so what was issued was a Certificate of
 20 Approval in place of any compliance agreement.
 21 (1:15 p.m.)
 22 Q. So does that mean this is non-operative now,
 23 this compliance agreement and the compliance
 24 ambient monitoring network options?
 25 A. I don't think it fully negates the options, it

Page 150

1 redoing, at present, to analyze the potential
 2 that the levels of emissions and the levels
 3 detected in the environment are--have any
 4 concern related to human health in the area.
 5 Those are the types of initiatives that we've
 6 taken, some independently, some in agreement
 7 with the Department of Environment, but on the
 8 basis of the information that we had submitted
 9 to them, they had, up to now, never formally
 10 required us to institute any actions related
 11 to the sulphur dioxide compliance issue.
 12 Q. So as of right now and I'm just going back to
 13 this CA-18, the Guidance Document, that I
 14 guess is operative here, as of right now, non-
 15 compliance has been determined based on the
 16 dispersion modelling. Would that
 17 determination have been in place in previous
 18 years without a communication from--like,
 19 would you have considered yourself to be, to
 20 have a non-compliance having been determined
 21 in previous years or is that only when you've
 22 been formally notified that you're in non-
 23 compliance?
 24 A. That's the only time we've been formally
 25 notified with a non-compliance, yes.

Page 152

1 may negate the actual compliance agreement,
 2 unless we can reach agreement on what that--
 3 because that is, I guess my understanding is
 4 that an agreement on actions that would be
 5 taken to bring yourself in compliance; whereas
 6 the other options are mechanisms to test your
 7 compliance again.
 8 Q. Right. When does the clock actually start
 9 ticking on non-compliance? I mean, the
 10 dispersion modelling was done for the year
 11 2004, you have a letter now issued as of
 12 February 2006 which says you're non-compliant.
 13 If you were looking at the Section 9, you're
 14 non-compliant as of the notification, I would
 15 assume, it does, you know, allow for
 16 establishing compliance ambient monitoring
 17 effort obviously in conjunction with the
 18 Department and then it goes back to Ms.
 19 Newman's point, I guess that she was trying to
 20 get out for clarity, that there is a timeframe
 21 that kicks in because you have the opportunity
 22 then to actually do compliance monitoring for
 23 a two-year period before you would actually
 24 have to take any mitigative measures because
 25 you have a chance to prove that you're

Page 153

1 compliant, I guess that's the purpose of that,
 2 right?
 3 A. Yes.
 4 Q. So it would seem to me that that kind of, on
 5 an option, allows for the uncertainties that
 6 would be inherent in any modelling, with the
 7 weather data and terrain features and the over
 8 reads and under reads and that kind of stuff,
 9 right?
 10 A. I think you're right, it allows for a period
 11 of time in which you would capture, reasonable
 12 would have expected to capture those, yeah.
 13 Q. Right, okay, and then the option then, Section
 14 11 there actually contemplates and the
 15 difficulties that you talked about with
 16 respect to getting at the highest of the high
 17 readings, that location, that you can actually
 18 prorate compliance monitoring data from a site
 19 being close proximity, I guess it's the next
 20 best site that you can get to and to get away
 21 from these difficulties that you have with the
 22 sites.
 23 A. Yes, yes.
 24 Q. So has that been considered? Is that
 25 something--I mean, have you looked at the

Page 155

1 in areas we've seen this demonstrates
 2 compliance, right, so that kicks back to the
 3 Guidance Document where the compliance
 4 monitoring network would have to -
 5 A. Yes, true.
 6 Q. I'm just trying to--you know, it seems to me
 7 that there is an opportunity in the
 8 information that I have before me, to buy
 9 time, you know. I mean, it seems to me that
 10 you have a window to be able to demonstrate
 11 that you are compliant without assuming that
 12 you're non-compliant because the modelling
 13 says you're non-compliant when you have no
 14 record or any actual non-compliance that your
 15 existing ambient station, is that a fair
 16 statement?
 17 A. The past modelling that we've had, as I say,
 18 this particular modelling showed the lesser of
 19 the--and it's individual yearly modelling that
 20 we've done, because that's the requirement of
 21 our agreement. The modelling in 2003, I
 22 think, had maximum levels of 5000, a little
 23 over 5000. Before that, they were higher than
 24 that and if you look at the proration of the
 25 existing monitoring sites to those levels, we

Page 154

1 existing Indian Pond station, for example, and
 2 tried to prorate that data? Because I
 3 understand it's a couple of hundred meters
 4 away from one of the sites that the high
 5 reading would be?
 6 A. Yes, so that site doesn't have a long-term
 7 data, it has shorter-term data, so whether
 8 you've captured the period that's required
 9 there, I don't think, but yes, we looked at
 10 that, but in terms of the context of approving
 11 that our actions bring us into compliance, it-
 12 -we'd still, on the basis of our
 13 understanding, be non-compliant until such
 14 time as we've proved that our actions--and
 15 using that prorated approach, it would be a
 16 reasonable test of whether our actions have
 17 brought us into compliance.
 18 Q. The Certificate of Approval was issued as of?
 19 A. February.
 20 Q. February. So the letter that came on February
 21 9th, 2006, which actually deemed you to be
 22 non-compliant did set out the two options,
 23 right, it did set out until such time as
 24 acceptable modelling, based on current stack
 25 testing data or approved compliance monitoring

Page 156

1 haven't always looked at those as receptor
 2 points, but we have on this occasion and on
 3 the previous occasion. It seems that the
 4 levels are still, even using the proration are
 5 not getting you into a compliance, so if it's
 6 to be used moving forward, my assumption is
 7 that it has to be used on the basis of some
 8 action. You can't use it historically to say
 9 okay, by using that prorated method that you
 10 are compliant. We've been deemed to be non-
 11 compliant which requires some action and then
 12 the testing to see whether it brings you into
 13 compliance.
 14 Q. Yes, except the Guidance Document says that if
 15 non-compliance is determined, you can elect to
 16 enter into a compliance agreement for the
 17 purpose of obtaining compliance or
 18 establishing a compliance ambient monitoring
 19 network. But, you know, even the first part,
 20 obtaining compliance within a reasonable
 21 timeframe, there is still no compliance
 22 agreement that contemplates that kind of a
 23 framework, I mean, Hydro is pursuing one
 24 percent sulphur as its mitigative actions to
 25 achieve compliance, hopefully?

Page 157

1 A. Yes.

2 Q. And there's no requirement under existing

3 legislation for Hydro to purchase one percent

4 fuel, two percent is the -

5 A. Is the regulatory limit across the province,

6 yes, maximum of two percent sulphur fuel.

7 Q. Okay, that's all I have, thank you.

8 CHAIRMAN:

9 Q. Thank you, Ms. Whalen. I don't have very

10 much, Mr. Ricketts. You've been there since

11 1995. I seem to recall a while ago, it may

12 have been a few years ago now, there was some

13 sort of survey in respect to the Holyrood site

14 that categorized it among some of the--one of

15 the worse in Canada, is that something that I

16 heard or dreamt or -

17 A. We did have the notoriety of, you know, of

18 being picked on. We report annually to the

19 National Pollutant Release Inventory, it's a

20 national database for a collection of

21 pollutant releases. And is overall,

22 individual pollutants are put into the data

23 related to your annual volumetric releases,

24 the same calculation we report annually to the

25 Department of Environment, and we were the

Page 159

1 particulate, but many of the others would have

2 electrostatic precipitators or bag houses, or

3 whatever, to capture that particulate before

4 it goes out to stack. Ours was built in a

5 time when it wasn't required and hasn't been

6 upgraded to do that.

7 Q. You mention, I guess one of your

8 responsibilities is sort of tracking in

9 relation to environmental issues. Who is

10 responsible for overall environmental planning

11 within Hydro and what does that entail, I

12 guess, in relation to--I mean, this happens to

13 be one particular aspect of modelling, you

14 know, I'm sure there are other aspects of

15 emissions. Mr. Johnson mentioned a couple as

16 well. I mean, how does that get addressed or

17 -

18 A. It's addressed on a couple of levels. One, on

19 the corporate, there are environmental

20 management systems in place and there are six

21 environmental management systems in place

22 within Newfoundland and Labrador Hydro and

23 CF(L)Co. There is a corporate environmental

24 management system and its responsibility is to

25 provide the procedures that others will use in

Page 158

1 fifth largest emitter of fine particulate in

2 the nation, in that time, in that year, and

3 that was picked up on in the media.

4 Q. So would that be primarily in respect of what,

5 SO2, I mean -

6 A. No, that's fine particulate which is the

7 particulate, yeah, we're a lesser emitter of

8 sulphur dioxide overall in terms of the volume

9 annually than the many others, you know,

10 smelters produce a lot of sulphur dioxide,

11 other utilities that have larger capacity

12 systems produce and use a sulphur fuel as coal

13 or oil, would produce larger overall

14 quantities of sulphur dioxide. But

15 particulate, we seem to emit a fair amount of

16 fine particulate in that year.

17 Q. So are you doing anything to mitigate that or

18 have you done anything -

19 A. We have no capture technology. We have no

20 capture technology at Holyrood at all. The

21 majority of similar types of plants operated

22 in the US or in Canada has some form of

23 capture technology, especially related to

24 particulate, and that's why ours would be

25 high. We have no back end capture for

Page 160

1 implementing theirs, but it also has a

2 responsibility for identifying the overriding

3 issues that have overriding requirements for

4 the corporation as a whole and that's where

5 initiatives related to addressing general

6 legislative requirements would come from. But

7 each individual management area on Holyrood

8 has its own environmental management system,

9 our Hydro electric system has its. As part of

10 that management system, they have to review

11 all of their activities, products and services

12 and identify those that have a potential for

13 impact on the environment. Once an impact is

14 identified, we have a system that they go

15 through then to classify those in terms of

16 their significance, and for significant

17 environmental aspects, each is required to

18 identify operational controls that limit those

19 or can effect the control and limit the impact

20 of the operation, the activity, or an area for

21 improvement, an objective and target for

22 improvement on that. And often times related

23 to the Holyrood plant, these areas for

24 efficiency improvements that have an

25 associated reduction in emission quality comes

Page 161

1 out of their own evaluation of their
 2 significant environmental impact potential and
 3 their identification of their objectives and
 4 targets that they can achieve, they feel that
 5 they can achieve to implement, to reduce those
 6 and continually improve the environmental
 7 performance of their operation and their
 8 management system. Same happens for the Hydro
 9 electric system. They will review, in
 10 consultation and mostly the Environmental
 11 Services Department is a guide, an advisor
 12 related to that, but they have the
 13 responsibility for reviewing and understanding
 14 and identifying the impacts that their
 15 operations may have and looking at the
 16 controls that they have in place related to
 17 those and the areas and opportunities for
 18 improvements that they would have.
 19 Q. I'm sorry, is that your responsibility or -
 20 A. As environmental services, my responsibility
 21 is to co-ordinate with them and provide them
 22 with advice on the technicalities and
 23 technical aspects of it, but they have the
 24 individual responsibility themselves to
 25 understand their potential impacts and to

Page 163

1 that is separate from the regulated business
 2 or operating departments.
 3 Q. Right, so any environmental improvements in
 4 relation to environmental plan, that would be
 5 done in each individual area and brought
 6 forward in the budget, is that correct, in the
 7 operating budget?
 8 A. That's right, yes.
 9 Q. So is there a master plan or is there anybody
 10 responsible for a master plan as it relates to
 11 the environmental considerations at Hydro, or
 12 is that the way it works from the grassroots
 13 up?
 14 A. It does work from the grassroots up to the
 15 great extent, except for those overriding
 16 environmental issues that have a corporate
 17 response requirement and the senior leadership
 18 team, the executive has that responsibility
 19 and I do provide, you know, advice to them,
 20 attend, when invited to meetings to advise on
 21 that and to the environmental committee of the
 22 board of directors, which we do have, and they
 23 are interested as well in what areas need
 24 improvement or are problems and problematic
 25 issues that should be addressed. But

Page 162

1 identify opportunities for improvement. I
 2 will--our department will provide them with
 3 information and we have an environmental
 4 compliance directory that we maintain that
 5 identifies the specific legislative
 6 requirements or agreements that we have in
 7 place, and we train people, we provide a
 8 training or an understanding program for our
 9 operations' people related to that. And we
 10 have a listing, we assist them when they're
 11 identifying their aspects or their potential
 12 areas for impact in understanding what
 13 legislative requirements or what those
 14 potential impacts may be. But it's the
 15 individual management system's responsibility
 16 to try to come to grips with their
 17 understanding of that and what opportunities
 18 they may have for improvements.
 19 Q. So that's in your operation side, I think.
 20 A. That's right, yes.
 21 Q. Yes, I see. And that's separate right now
 22 from your engineer, there has been some change
 23 -
 24 A. That's right, the recent re-organization,
 25 there is an engineering services department

Page 164

1 certainly for things that have an overriding
 2 significant cost to the corporation or need to
 3 be considered in the larger scale, it's the
 4 executive management that has that
 5 responsibility.
 6 Q. Did I hear you say you report to the vice-
 7 president of Human Resources Organizations?
 8 A. In organizational effectiveness, that's the
 9 department.
 10 Q. Can you just shed a little bit of light on
 11 that, Human Resources I've used, personnel
 12 matters, labour issues, you know -
 13 A. Yeah. It also includes the safety and health
 14 group, so with the reorganization, the
 15 leadership team felt that, I think, there was
 16 a need to bring together the environment and
 17 safety components under the one house and
 18 that's why we had previously been reporting to
 19 the vice-president of transmission and rural
 20 operations, part of our operating system. And
 21 we do provide service throughout the
 22 organization and we still do that, not limited
 23 in that way, but the feeling I think was at
 24 the senior level that it was worth to
 25 amalgamating or bring together in the one

Page 165

1 house the safety and environment components.
 2 Q. Thank you, Mr. Ricketts, that's all I have.
 3 Before we go to re-direct, are there any
 4 questions resulting from any questions that
 5 the Board asked?
 6 (1:31 p.m.)
 7 HUTCHINGS, Q.C.:
 8 Q. I just have one matter that arose from a
 9 question from the Vice-Chair and that dealt
 10 with the potential for establishing monitoring
 11 under paragraph 9 of the Guidance Document.
 12 Did I understand you to say that the existing
 13 monitoring, ambient air monitoring stations
 14 that do exist would not qualify as monitoring,
 15 compliance monitoring under that document, and
 16 if so, why not?
 17 A. Yes, that's my understanding because they
 18 aren't specifically in the locations of the
 19 projected highest high concentration from the
 20 modelling.
 21 Q. But that's the only reason is because of
 22 location, it's not because of actually what
 23 they do?
 24 A. No, that's right.
 25 Q. Okay, so if they were in the right places or

Page 167

1 scrolls aren't quite as easy to follow for re-
 2 direct. Mr. Ricketts, perhaps we can go back
 3 to the area that Mr. Hutchings and Vice-Chair
 4 were just discussing just for a moment and try
 5 to get some clarification on that one. And
 6 this is the Guidance Document we've been
 7 referring to several times and the issue of,
 8 perhaps I can refer you to it, it's the one
 9 attached to CA 18. I'm looking at No. 9 on
 10 the determination of compliance Guidance
 11 Document, it's at page 10. It says there, "If
 12 non-compliance is determined, the facility may
 13 enter into a compliance agreement"--or "may
 14 elect into a compliance agreement" and I
 15 stress that word in my question. Would it be
 16 of any value for Hydro to enter into a
 17 compliance agreement if it believed, based on
 18 the evidence it had, that compliance wouldn't
 19 occur or is a compliance agreement something
 20 you do once you have some belief that some
 21 course of events or some set of circumstances
 22 either will bring you into compliance or
 23 determine that you're already in compliance?
 24 A. My understanding of the Department of
 25 Environment is that they enter into compliance

Page 166

1 the department agreed that they were close
 2 enough, they'd be fine?
 3 A. Yes.
 4 Q. Yes, okay. I just wanted to clarify that.
 5 Thank you, Mr. Chair.
 6 CHAIRMAN:
 7 Q. Mr. Young, any re-direct that you may have?
 8 MR. YOUNG:
 9 Q. I do have some. I note the time and actually
 10 -
 11 CHAIRMAN:
 12 Q. Will you be--you won't be long, will you?
 13 MR. YOUNG:
 14 Q. I thought the first question I asked Mr.
 15 Ricketts this morning was going to be a much
 16 shorter answer, so I was a little guarded on
 17 saying how long. Having said that, I don't
 18 anticipate, you know, you're going to be too
 19 upset with me, just a few minutes, I hope.
 20 CHAIRMAN:
 21 Q. Okay.
 22 MR. YOUNG:
 23 Q. And I ask the Board's indulgence while I go
 24 through my scrolls. It's always nice to work
 25 from a transcript because it's printed and my

Page 168

1 agreements where they think action is viable
 2 to bring you into compliance, that a
 3 compliance agreement is only worthwhile if
 4 you're taking action to bring yourself into
 5 compliance.
 6 Q. So it's not just a matter, I want to make sure
 7 we understand this because I think there was
 8 some confusion in some of the answers, it's
 9 not just a matter--well if you're not in
 10 compliance, you have two choices, you can test
 11 or you can do what you're told. Is it black
 12 and white that way or is it a matter of if
 13 you're not in compliance and you go down the
 14 road of the compliance agreement that that may
 15 have a whole lot of other presumptions with
 16 it, or is it just that you carry on as if you
 17 were and just do more testing?
 18 A. My understanding is you take action to bring
 19 yourself into compliance and you test for
 20 that.
 21 Q. And just further on this, 9(b) talks about the
 22 compliance ambient net monitoring network and
 23 Mr. Hutchings' question just received a
 24 response that the five locations at present
 25 don't cut it, as far as you understand it, is

Page 169

1 that correct?

2 A. That's right.

3 Q. And these are, of course, general documents.

4 To your knowledge, are documents of this sort

5 used in other places by the Departments of

6 Environment in other jurisdictions? Is this a

7 standard sort of document? Is this generic or

8 is this very specific, for example, the

9 Holyrood or to Newfoundland?

10 A. The Guidance Documents are out there in other

11 jurisdictions. I haven't seen this particular

12 Guidance Document in other jurisdictions, but

13 there are--the ministry of environment in

14 Ontario has issued a Guidance Document

15 similarly, but all encompassing related to air

16 emissions that encompasses both the monitoring

17 of the compliance determination, the modelling

18 requirements and that, so these are generally

19 used, the Alberta environment have done the

20 same thing, yes.

21 Q. I understand also in one of the questions you

22 answered that there are other jurisdictions

23 where standards are similar to the ones we

24 had, as far as the actual numerical values, is

25 that -

Page 171

1 practical to establish compliance ambient

2 monitoring network at locations of maximum

3 predicted non-compliance"--and then it goes on

4 to review the option of cross-referencing or

5 something, does this section have any

6 applicability to what we are doing at Holyrood

7 or might it?

8 A. Yeah, I would think it would in terms of if we

9 can't reach agreement on specific locations

10 that are viable to set up--if you couldn't

11 identify a specific location is viable, set up

12 a compliance monitor, location monitor or

13 monitoring locations, then you could use that

14 method to test for your compliance, again by

15 prorating from what's really an ambient,

16 what's set up as an ambient level monitoring

17 program.

18 Q. Thank you. Mr. Chairman, I'm looking through

19 these, I note that I have a few questions I

20 may be referring to Mr. Haynes as far as he

21 may be able to answer them, and perhaps I can

22 give some direct with him on Monday morning if

23 I can get some of the information through him.

24 Some of it may not be in his personal

25 knowledge at this time, but I imagine we can

Page 170

1 A. Yes, these are similar. In most jurisdictions

2 across Canada, the 900 is similar.

3 Q. Is the 9--and the question I really have is

4 this, is the approach to modelling that's

5 taken in Newfoundland, to your knowledge,

6 similar in those other jurisdictions also? Is

7 this modelling used there also?

8 A. Yes, Ontario used to have its own model set

9 that was different from what the USEPA had set

10 out, but they have recently adopted the full

11 modelling set that the USEPA specifies and

12 CALPUFF is included in that and AIRMODE is

13 included in that, and they've got that

14 included in their Guidance Document and

15 Alberta has done the same. And those are

16 particular ones that have recently changed

17 their programs.

18 Q. Okay, so both the numerical values and the

19 modelling are typical, is that correct?

20 A. Yes.

21 Q. Okay. I just wonder if I could refer you to

22 Section 11 on that page, paragraph 11, and

23 this talks about--I'll just read it, I think

24 the first few words of it disclosed what's

25 really going on here. "Where it is not

Page 172

1 dig it up. This was also in response or

2 arises from a question asked by the Vice-

3 Chair. She asked you at one point to--some

4 history of the regulatory circumstances and

5 the fact that, I think it was February of this

6 year when we first received a letter and I

7 think your response was this was the first

8 time you received a letter to that extent. I

9 wonder if you could explain for the Board and

10 you've touched upon it briefly and I don't

11 need a full explanation, but just the nature

12 of the interaction between yourself, at Hydro,

13 and the people you deal with, with the

14 regulator, and the nature of awareness that

15 they would have of the kind of data that we're

16 dealing with and their responses to you,

17 whether it's always in writing, whether it's

18 never in writing, might they pick up the

19 phone, might you meet regularly. How does

20 that communication go back and forth?

21 A. Yes, there's quite a lot of data that does get

22 transferred between ourselves and the

23 Department of Environment, some of which they

24 absolutely require the monitoring data and the

25 modelling data reports, and some studies that

Page 173

1 are required by agreement as well that we
 2 initiate, they receive that information. We,
 3 as well, because of the implications to
 4 compliance and our determination of the
 5 compliance, some of the studies that we do,
 6 such as the human health risk assessment, we
 7 engage the Department of Environment in that
 8 to make sure that they are agreeable to the
 9 methodologies that are used and will accept
 10 the results that come out, even if they
 11 haven't required that the work be done. If
 12 you want to be sure that they have full
 13 understanding and acceptance of the
 14 information so that if there are implications
 15 to you, that you can understand them upfront,
 16 rather than having to deal with them and
 17 somebody discovers it, sort of thing. But for
 18 the most part, most of the information is
 19 subject to discussion and submission. They
 20 may or may not reply if they have a particular
 21 detail that, on a report that's submitted, on
 22 occasion it's submitted in writing, on
 23 occasion it's discussed at points. The
 24 overall operation of the facilities, where
 25 Certificates of Approval are in place in the

Page 175

1 Approval, which could have implications to it
 2 down the road. So it has, in the past, been
 3 less formal than that, I think it's reasonable
 4 to say and more discussions and more transfer
 5 of information and discussion of information.
 6 Q. And my final question, I think, also arises
 7 from sort of the same discussion you were
 8 having with the Board Chair on this and we're
 9 talking about as these things change over time
 10 and what I would like to refer you to, if you
 11 could briefly describe any sense of
 12 improvement or whether it remains static or
 13 whatever, in relation to Hydro's perception of
 14 the accuracy and the reliability of the
 15 modelling. I mean, is it the same now as it
 16 was back when it started in the 90's or is it
 17 better and are the approaches that we take,
 18 are they different? I'm just curious if you
 19 could give some indication of that and how you
 20 feel about it at the present, in 2006?
 21 (1:45 p.m.)
 22 A. I think it's fair to say that the models
 23 themselves have improved, that they have
 24 captured new empirical information that has
 25 been applied in the calculations and

Page 174

1 past, they have been long term. With the
 2 Department of Environment, they have recently
 3 moved to much shorter term Certificates of
 4 Approval. So that gives them the option then
 5 of, I guess, having empowerment to require
 6 changes where they see the need. But in the
 7 past they have had, most of the Certificates
 8 of Approval that had been issued for
 9 facilities that have been operational for some
 10 time, had no expiry date to them, so when
 11 something new came up, it was subject to
 12 discussion and subject to the Minister then
 13 determining the need for re-issuance of a
 14 Certificate of Approval or not, on the basis
 15 of the information, the new information. So
 16 right now, the Certificate of Approval, new
 17 one that we have, has an expiry date to it, so
 18 we would expect that there will be a more
 19 formal review of the operation of facilities,
 20 such as Holyrood, at the coming of the
 21 expiration of the--within a year of expiration
 22 of that we are required to indicate to them
 23 whether we want to continue operation or not,
 24 and if we want to continue operation, then
 25 seek approval for a new Certificate of

Page 176

1 alogarithms that are there. They are much
 2 more viable in terms of the breadth of a
 3 situation that may occur, as I say, in
 4 particular, Holyrood, there's the complex
 5 terrain that surrounds the plant and there is
 6 the land water interface where you've got a
 7 coastal facility. The CALPUFF modelling is a
 8 new modelling set that's intended to address
 9 those concerns or those factors in more detail
 10 than had been done in the past. The approach
 11 in the past, as well, had been one of gaussain
 12 dispersion of the pollutant, so you take it
 13 and then over time it should express itself in
 14 all dimensions in the same format until
 15 affected by wind shears or whatever. The new
 16 meteorological approach to this as wind fields,
 17 they're called, and so the effect takes an
 18 emission and carries it for a period of time
 19 and then the next emission is carried for a
 20 period of time, separate--by a separate wind
 21 field that will affect it in a particular way,
 22 and with the meteorological condition of the
 23 time of the release and what comes after that.
 24 So they have tried to approach the alogarithms
 25 in much more detail based on new empirical

1 data and empirical information that has come
 2 up and been available to them. The models
 3 have changed and since '95, the approach to
 4 modelling has changed too. The data that we
 5 apply in terms of emission rates is more
 6 finely determined than it was then. It was
 7 based on, to some extent, originally on
 8 emission factors because we're only entering
 9 into the stack testing program at that stage.
 10 The stack tests have improved in terms of
 11 their accuracy as well, I think, although the
 12 methodologies and protocols are standardized,
 13 the implementation of those has become much
 14 better, and so that data is better. The
 15 approach to then inputting that into the model
 16 has been more fine tuned as well and much less
 17 general and much more specific to individual
 18 time periods. So I think it's fair to say
 19 that our modelling has improved and our
 20 expectation is and the Department of
 21 Environment's expectation is that that's more
 22 accurate, that shows more accuracy as well.
 23 Q. Those are all my questions. Thank you, Mr.
 24 Ricketts. Thank you, Chair.
 25 CHAIRMAN:

1 Q. Thank you, Mr. Young. I thank you very much,
 2 Mr. Ricketts for your testimony. I found it
 3 to be quite complete in your efforts to answer
 4 and I guess thank you for your co-operation.
 5 It's been probably a long morning for you,
 6 given that we're going on 2:00 now. Thank you
 7 very much, I appreciate it.
 8 A. You're welcome.
 9 CHAIRMAN:
 10 Q. I guess we're scheduled, Ms. Newman, for 9:00
 11 with Mr. Haynes on Monday morning?
 12 MS. NEWMAN:
 13 Q. Yes.
 14 CHAIRMAN:
 15 Q. Okay, so we'll see you then. Have a good
 16 weekend, thanks very much.
 17 Upon concluding at 1:47 p.m.

1 CERTIFICATE
 2 I, Judy Moss, hereby certify that the foregoing is a true
 3 and correct transcript of an application by NL Hydro for
 4 Approval of Recovery of Costs of 1% Sulphur Fuel through
 5 the Rate Stabilization Plan, heard on the 5th day of May,
 6 A.D., 2006 before the Board of Commissioners of the
 7 Public Utilities Board, St. John's, Newfoundland and
 8 Labrador and was transcribed by me to the best of my
 9 ability by means of a sound apparatus.
 10 Dated at St. John's, Newfoundland and Labrador
 11 this 5th day of May, A.D., 2006
 12 Judy Moss