

Page 1

1 (9:08 a.m.)  
 2 CHAIRMAN:  
 3 Q. Good morning. Trust everybody had a good  
 4 weekend. Anything before we get started, Ms.  
 5 Newman?  
 6 MS. NEWMAN:  
 7 Q. Yes, Mr. Chairman, good morning, Vice-Chair.  
 8 There was a couple of undertakings on Friday  
 9 that have been responded to. The first is a  
 10 letter dated November 3rd, 2004 from Hydro to  
 11 the Board, and that's a signed copy of that,  
 12 and we'll call that Information item No. 1.  
 13 The second is the cover letter from  
 14 Government to Hydro covering the certificate  
 15 of approval, dated February 2nd, 2006, and  
 16 we'll call that Information item No. 2.  
 17 In addition, I understand that there was--  
 18 I recall that there was some other items that  
 19 were--questions that were raised but may not  
 20 qualify entirely as undertakings. In any  
 21 event, Hydro, through Mr. Young and the  
 22 witness this morning, are going to address a  
 23 number of those. So they should be sorted out  
 24 through testimony. The Consumer Advocate has  
 25 also filed some authorities. We can, as per

Page 3

1 CHAIRMAN:  
 2 Q. Sure.  
 3 MR. YOUNG:  
 4 Q. Some of these things are things that just  
 5 arose from the transcript, things that Mr.  
 6 Ricketts wasn't particularly familiar with.  
 7 CHAIRMAN:  
 8 Q. Okay. Would you like to introduce your  
 9 witness, please?  
 10 MR. YOUNG:  
 11 Q. Needs not a lot of introduction, Mr. Jim  
 12 Haynes, vice-president of Regulated Operation  
 13 with Newfoundland and Labrador Hydro. The  
 14 title might need some introduction. That's a  
 15 new title for him. He's available to be  
 16 sworn.  
 17 MR. JAMES HAYNES, SWORN  
 18 CHAIRMAN:  
 19 Q. Good morning, Mr. Haynes. Good to see you  
 20 again. When you're ready, Mr. Young.  
 21 MR. YOUNG:  
 22 Q. Thank you, Chair. Mr. Haynes, pre-filed  
 23 evidence testimony has been filed in your  
 24 name. Do you accept that as your testimony in  
 25 this hearing?

Page 2

1 usual course, call that Information item No.  
 2 3. And for your information, there was also a  
 3 document circulated which is an excerpt from  
 4 PU-7, is it?  
 5 HUTCHINGS, Q.C.:  
 6 Q. Yes.  
 7 MS. NEWMAN:  
 8 Q. Which the Industrial Customers will put to  
 9 this witness this morning as well. And I  
 10 don't believe there's any other preliminary  
 11 items.  
 12 CHAIRMAN:  
 13 Q. Okay. Good morning, Mr. Young.  
 14 MR. YOUNG:  
 15 Q. Good morning.  
 16 CHAIRMAN:  
 17 Q. Would you like to address your other--your  
 18 issues first, before you introduce the  
 19 witness?  
 20 MR. YOUNG:  
 21 Q. No, actually Mr. Chair, what we were proposing  
 22 to do, what we've come to the practice of  
 23 doing GRAS and whatnot, when we have some  
 24 follow-up stuff, we just put them through as  
 25 evidence of Mr. Haynes, if that's okay?

Page 4

1 A. Yes, I do.  
 2 Q. Mr. Haynes, as I just mentioned to the Board  
 3 Chair, there was a couple of issues that came  
 4 up on Friday with Mr. Ricketts, which we need,  
 5 I think, to follow up through you and get  
 6 these bits of information in. The first one,  
 7 I guess, is a question that was deferred to  
 8 you. It arises at page 86 in the transcript.  
 9 I'll read the question that was put to Mr.  
 10 Ricketts. It says "Mr. Ricketts, there was a  
 11 suggestion originally that the move to one  
 12 percent sulphur fuel might perhaps be staged  
 13 over a period of time. Is that a suggestion  
 14 that came from within your group?" Mr.  
 15 Haynes, I wonder if you could explain the  
 16 circumstances around that proposal and  
 17 ultimately how Hydro came to its conclusion  
 18 and its decision of going to one percent  
 19 sulphur?  
 20 A. Yes. We did look at staging. We've been  
 21 looking at this particular issue for a number  
 22 of years, I guess. In 2003, we did a fair bit  
 23 of analytical work based on some work done by  
 24 Alstrom, did some economic analysis. At that  
 25 particular time, the differential in one

Page 5

1 percent, at that particular time, was 2.2  
 2 percent we were burning and one percent was in  
 3 the order of about \$6.00 a barrel, and I think  
 4 the total cost in say 2009 to implement that  
 5 was in the order of about 20 million dollars a  
 6 year. So we looked at staging as a means to  
 7 kind of get there over a period of time.

8 When we looked at it again in 2004, the  
 9 prices had changed again, the forecast, and it  
 10 was in the order of about, I believe, probably  
 11 around \$4.00 a barrel and in the order of  
 12 about 10 or so million dollars, you know, in  
 13 2009. And I guess, you know, we had several  
 14 meetings with the regulator. We talked about  
 15 various things, particularly the regulations  
 16 and trying to meet these particular  
 17 regulations. I guess, in 2005, the last time  
 18 we looked at the economic part, the  
 19 differential was down considerably again, down  
 20 in the order of \$2-3.00 a barrel, and in fact,  
 21 I think at one time it was between one and two  
 22 dollars a barrel. And I guess the overall  
 23 cost to implement that and the rate impact was  
 24 a lot less and so basically, we said well, we  
 25 are in violation of the Act, we're not meeting

Page 7

1 (9:15 a.m.)  
 2 A. No, they can't. The physical infrastructure  
 3 out there, there's basically one common header  
 4 from the tank farm to the plant and one day  
 5 tank and basically the fuel that arrives at  
 6 the plant is what's ever being channelled from  
 7 the tank farm. In order to designate, for  
 8 instance, unit No. 3 to burn one percent, you  
 9 would have to have another header. You'd have  
 10 to have another day tank and increased  
 11 complexity, I guess, with respect to the  
 12 operation of that. So the physical  
 13 infrastructure doesn't allow us to do that  
 14 today.

15 Q. And just for clarification, the reference to  
 16 the header, you're talking about a large -  
 17 A. I think it's a--I believe it's 16-inch pipe  
 18 that comes from the tank farm, 12-inch pipe,  
 19 12 or 16-inch pipe that comes from the tank  
 20 farm to the plant. There's only one. If you  
 21 want to segregate by unit, you would have to  
 22 have, you know, doubling up of the headers and  
 23 also the distribution system within the plant.

24 Q. Just as a follow up to that point, is there  
 25 any option of changing the fuels from a

Page 6

1 it. Rather than stage it in over four years,  
 2 we'll go and propose one percent. You know,  
 3 the overall rate impact by doing it that way,  
 4 the three years difference, was about the same  
 5 as we would have been over a four-year period  
 6 previously. So it was more of a--you know,  
 7 the decision was based on the fact that the  
 8 cost was a lot less and that based on further  
 9 testing, further analysis, that we're not  
 10 compliant, and we're not going to be compliant  
 11 unless we get there. That's the basis for  
 12 doing that.

13 Q. And then the second question arising from the  
 14 transcript was on page 88. I'll read the  
 15 question, and this has to do with--a little  
 16 bit of background, have to do with possible  
 17 options from an operating point of view to  
 18 reduce sulphur with different kinds of fuels  
 19 and different tanks, and the question was  
 20 "okay, and from a technical point of view,"--  
 21 it's Mr. Hutchings asking this. "Okay, and  
 22 from a technical point of view, can the  
 23 operators designate a particular tank to  
 24 supply a particular generator at any given  
 25 time?"

Page 8

1 seasonal point of view? For example, changing  
 2 it from one percent for one part of the year  
 3 and changing it to two percent for another  
 4 part of the year? Is that practicable to do  
 5 that or can you change it within hours or  
 6 days?

7 A. You certainly can't change within hours or  
 8 days. Every time you change the--I mean, if  
 9 you're--when we buy fuel, we specify, you  
 10 know, if we were specifying two percent or one  
 11 percent. You're going to get the supplier to  
 12 be never above that, because there's penalties  
 13 for them. You may get it to be, you know, 1.9  
 14 if you're expecting two. You might get a .95  
 15 or whatever if you're doing one. Those things  
 16 you don't worry too much about, but when you  
 17 make a significant change in the fuel sulphur  
 18 content, you change lots of characteristics,  
 19 the heating value, asphaltene content and  
 20 basically what the fellows at the plant do,  
 21 they will tweak, fine tune, tune up the boiler  
 22 if you will, and that takes a bit of time. You  
 23 have to run through certain load cycles to do  
 24 all that, and you know, you don't constantly  
 25 do that. It's an administrative nightmare and

Page 9

1 basically what it would mean is that while we  
 2 strive to be as efficient as we can, to get a  
 3 maximum number of kilowatt hours per barrel,  
 4 every time you change it, you affect that, and  
 5 you will be constantly chasing those  
 6 parameters around, re-tweaking if you will, or  
 7 tuning up your engine, so to speak.

8 Q. Mr. Hutchings--that's just I think a partial  
 9 explanation for the next question. On pages  
 10 105, 106 and 107, Mr. Hutchings asked Mr.  
 11 Ricketts a similar question. I'll just read  
 12 this to you and--it's kind of hard to get this  
 13 out of the context, but I'll read the whole  
 14 question. "Just turning over to page 1-2," I  
 15 think this the Acres report is the reference,  
 16 "under the heading B, in the second sentence  
 17 there, a remark is made. This may be in  
 18 talking--so two levels--to acceptable levels.  
 19 It says 'this may be achieved by a less costly  
 20 partial switch in which low sulphur fuel would  
 21 be used during heavy periods, heavy load  
 22 periods, and high sulphur fuel during light  
 23 periods'" and I'm just wondering is the answer  
 24 you just gave, is it generally addressing that  
 25 issue?

Page 11

1 another engineering matter about which Mr.  
 2 Ricketts, I think, deferred to you. The  
 3 transcript reference is page 139 and it arose  
 4 from Mr. Johnson's examining Mr. Ricketts  
 5 about proprietary fuel additives. The  
 6 question posed was as follows, and again, the  
 7 reference is to--it arose out of the Acres  
 8 report. He said "towards the top of page 62,  
 9 proprietary fuel additives may provide a  
 10 reduction in total particulate emissions of  
 11 about 50 to 60 percent is what they're  
 12 suggesting. However, the additives may not  
 13 achieve the required reduction in PM-10  
 14 emissions. The question is has there ever  
 15 been any piloting or testing of these fuel  
 16 additives at Holyrood to see what they can do  
 17 for opacity for the people who live around the  
 18 facility." I'm just wondering, Mr. Haynes,  
 19 are you aware if Hydro has considered fuel  
 20 additives to assist in emissions matters?

21 A. Fuel additives, I'm by no means an expert in  
 22 fuel additives. There are, I'll venture to  
 23 say, dozens of different fuel additives.  
 24 Typically for a hydro plant--I'm sorry, for a  
 25 thermal plant burning heavy oil, it's usually

Page 10

1 A. It's very difficult to do. You have a fuel  
 2 management issue. Basically when we started  
 3 ordering one percent sulphur fuel, we  
 4 segregated the tanks so that we could actually  
 5 basically burn all the two percent prior to  
 6 having a fully one percent operation, and it's  
 7 an administrative thing. I won't say you  
 8 can't do it seasonally, but the basic issue is  
 9 that we depend on Holyrood for 466 net  
 10 megawatts and particularly in the winter  
 11 season when it's mostly--when it's used most,  
 12 we expect to be able to dispatch that plant  
 13 anywhere between--well, in the wintertime, we  
 14 certainly have 200 megawatts on or 150  
 15 megawatts on, but we expect and plan to  
 16 dispatch that unit anywhere between, based on  
 17 hydrology, based on if we have issue with a  
 18 hydro unit, particularly say a 150 megawatt  
 19 unit such as Bay D'Espoir No. 7. So you know,  
 20 we plan for its availability at 466 megawatts  
 21 and to put another constraint in the energy  
 22 control centre to try to manage around that  
 23 would be a bit onerous and would be less  
 24 efficient.

25 Q. The next question, Mr. Haynes, deals with

Page 12

1 a magnesium oxide derivative. There are a few  
 2 sometimes things added. There are a half a  
 3 dozen or more different variations of that.  
 4 They're all designed basically, I guess, from  
 5 the vendors to address certain things. We  
 6 burn mag oxide, very common in the oil  
 7 industry, basically to prevent slagging on the  
 8 back end of the boiler--I'm sorry, on the  
 9 boiler walls, so that we get better heat  
 10 transfer, more efficiency. We have tried a  
 11 product called Comate, basically again to  
 12 attempt to increase efficiency and I guess  
 13 there has been dialogue with other utilities  
 14 in Canada and elsewhere with respect to  
 15 certain trials that they've done on different  
 16 fuel additives. But basically, they're all to  
 17 address specific problems. You may fix one  
 18 problem and create another. You may increase  
 19 your efficiency, but increase your sooting and  
 20 vice versa. So we certainly keep up on that.  
 21 We do have some dialogue and we've done some  
 22 trials, but basically Comate, Mag oxide, and I  
 23 believe you go back a number of years, we were  
 24 burning a different type of mag oxide a long  
 25 time ago. But well, I should just elaborate a

Page 13

1 little bit. One of the issues that we did  
 2 have with mag oxide is vanadium and that's to  
 3 prevent this vanadium from building up on the  
 4 back of the boiler and reducing heat transfer.  
 5 So our focus has been efficiency.  
 6 Q. Thank you, Mr. Haynes. This will be my last  
 7 question. There was some confusion, apparent  
 8 ambiguity exists in two RFI answers, and  
 9 probably more than apparent, perhaps it is an  
 10 ambiguity. The first one I'd refer you to is  
 11 CA-6, and it's the third paragraph on CA-6.  
 12 Do you have that, Mr. Haynes?  
 13 A. CA-6?  
 14 Q. Yes.  
 15 A. Yes.  
 16 Q. And the third paragraph beginning at line 19,  
 17 I'll just briefly refer to it. It says "the  
 18 readings here were inconclusive to you to  
 19 recording anomalies" and a reference was--that  
 20 was cross-referenced with PUB-6, if I could  
 21 refer you to that for a second, please, on  
 22 page two of three.  
 23 A. Okay.  
 24 Q. The last sentence of that page, at line 19,  
 25 says "the quality control process instituted

Page 15

1 Q. Thank you, Mr. Young. Good morning, Mr.  
 2 Coxworthy.  
 3 MR. COXWORTHY:  
 4 Q. Thank you, Mr. Chair. Good morning, Mr.  
 5 Haynes. Mr. Haynes, I just wanted to ask a  
 6 question of clarification with respect to the  
 7 last question that Mr. Young asked you  
 8 regarding CA No. 6. Do you still have that  
 9 before you?  
 10 A. Yes, I do.  
 11 Q. And you refer to lines 19 to 23.  
 12 A. Yes.  
 13 Q. And I just want to clarify in respect of that  
 14 paragraph. Is that information accurate or  
 15 not in that paragraph?  
 16 A. That information is accurate, but it does not  
 17 refer to the events of December 2005. It  
 18 refers to the earlier events where it mentions  
 19 1362 on line 12.  
 20 Q. So when you say it's accurate then, December  
 21 2005 readings referenced in line 23, you're  
 22 saying that that's a mistake?  
 23 A. Yes, it is.  
 24 Q. It's not--and so the readings of December 2005  
 25 were conclusive?

Page 14

1 at HTGS indicates that the monitoring  
 2 equipment was performing satisfactorily at the  
 3 time." I'm just wondering, are these supposed  
 4 to be referring to the same events and is  
 5 there something on CA-6 perhaps that ought to  
 6 be corrected or is there some other  
 7 explanation?  
 8 A. Yes. We double checked that. The lines on  
 9 CA-6, 19 to 22, specifically refer to lines 9  
 10 to 13. That line 23, December 23rd readings  
 11 is really irrelevant and shouldn't be there,  
 12 and the section, the lines 14 to 17 which talk  
 13 about the 970 micrograms per meter cubed and  
 14 so on, that is correct and those instruments  
 15 were calibrated properly and were working at  
 16 that time. I specifically recall that  
 17 discussion because when we had gone down  
 18 through, we had this excursion and that  
 19 question arose. I recall dialogue with the  
 20 plant manager and environmental fellows at the  
 21 time. Those were valid results, not  
 22 calibration testing.  
 23 Q. Thank you, Mr. Haynes. Those are my  
 24 questions. Mr. Haynes is available for cross.  
 25 CHAIRMAN:

Page 16

1 A. Yes, they were, as is indicated in PUB-5, I  
 2 believe.  
 3 Q. I believe it was PUB-6.  
 4 A. Or PUB-6, sorry.  
 5 Q. Mr. Haynes, on Friday, at the end of Mr.  
 6 Ricketts' questions, the Board had some  
 7 questions of Mr. Ricketts with respect to of  
 8 who in Hydro is responsible for overall  
 9 environmental planning, and Mr. Ricketts, in  
 10 the course of his answer, described a  
 11 structure where there were six environmental  
 12 management systems he referred to within  
 13 Hydro, one of which I understood to be  
 14 responsible for Holyrood and the other systems  
 15 that would be responsible for other operations  
 16 of Hydro. Would you agree so far?  
 17 A. Generally, yes. That's an EMS, environmental  
 18 management system, compliant with ISO 14001  
 19 structure that we've implemented.  
 20 Q. So as Mr. Ricketts described it, that was sort  
 21 of the grass roots and then these types of  
 22 issues then would move their way up the  
 23 corporate ladder, and he identified then that  
 24 some of these issues would become overriding  
 25 environmental issues.

Page 17

1 A. Yes, they would be significant environmental  
 2 factors when you go down through and rank all  
 3 your--there's obviously lots of environmental  
 4 issues, but basically you go down through and  
 5 you screen them and you basically, you look  
 6 for your significant environmental issues.  
 7 Q. And the issue that's before the Board here  
 8 today in terms of the application to go to one  
 9 percent fuel to reduce the sulphur content and  
 10 sulphur emissions, is that an overriding  
 11 environmental issue for Hydro?  
 12 A. It's a major environmental issue for Hydro.  
 13 At the Holyrood plant, the Holyrood plant has  
 14 its own environmental management system. The  
 15 plant manager's job with his people is  
 16 basically to optimize what he's been given.  
 17 Basically, he doesn't make the decisions on  
 18 what type of fuel we burn. He doesn't make  
 19 the decision how many megawatts he's going to  
 20 generate. That's dictated by others. The  
 21 energy control centre, for instance, dictate  
 22 the dispatch for the plant and he has to do  
 23 the best he can within those parameters. We  
 24 took the air emissions issue from Holyrood and  
 25 that was basically made a corporate

Page 19

1 continuous emissions monitoring system and  
 2 brings a lot more credibility to the results,  
 3 and we think that--our view is that basically  
 4 they are right. We are non-compliant. Not  
 5 necessarily as bad as we might have thought or  
 6 some of the studies may have indicated in  
 7 earlier times when they were making a lot of  
 8 assumptions under their weather regime and the  
 9 emissions. We have a lot more credible data  
 10 now.  
 11 (9:30 a.m.)  
 12 Q. Mr. Haynes, you've just referred to a Cantox  
 13 study. Is this the SENES Consultants study -  
 14 A. Yes, it is.  
 15 Q. - that the -  
 16 A. Yes, the CALPUFF modelling. I'm sorry, the  
 17 Cantox study was a health risk assessment.  
 18 This is an input into it. I'm sorry.  
 19 Q. As Mr. Ricketts described it, and I think as  
 20 you're describing it, once it becomes an  
 21 overriding environmental issue, the decision  
 22 becomes a corporate one. Mr. Ricketts spoke  
 23 of there being a senior leadership team, an  
 24 environmental committee of the Board of  
 25 Directors, executive management, referred to

Page 18

1 environmental issue. It's a very significant  
 2 event, a very significant issue, particularly  
 3 because we're non-compliant, and you know,  
 4 numerous public complaints and so on.  
 5 Q. For how long has it been a significant  
 6 overriding corporate issue for Hydro, the  
 7 issue of reducing sulphur emissions?  
 8 A. It's been on our radar screen for several  
 9 years. Lots of dialogue with the regulator  
 10 and lots of--disputing is a strong word, but I  
 11 guess, questioning the information that was  
 12 used in the models and studies. We have  
 13 invested a lot of money in the last number of  
 14 years to increase our ambient air monitoring,  
 15 to collect more data. We've installed another  
 16 site and so on, and improved the  
 17 meteorological station. And you know, each  
 18 time we do the study, there are different  
 19 results obviously because it looks at, you  
 20 know, the weather conditions that were  
 21 prevalent at the time or the last year. This  
 22 last study we had done by CALPUFF or I'm  
 23 sorry, Cantox, the report we called it, used  
 24 more current data, used information from the  
 25 ambient sites, used information from the

Page 20

1 those three. Perhaps they're one and the same  
 2 structures as where the ultimate decision  
 3 making that is made with respect to an issue  
 4 like this, moving to one percent sulphur. Is  
 5 that correct?  
 6 A. Yes. There was a study group created in about  
 7 2003, of which I was a member, to look at  
 8 Holyrood. It included environmental people.  
 9 It included plant people. It included energy  
 10 control centre people, and it included people  
 11 from system planning who, you know, who had  
 12 input particularly on the economic analysis  
 13 and so on. And we made a presentation to the  
 14 management committee at that time on probably  
 15 late 2003. There was no recommendation. It  
 16 was more of an update, here's the state of  
 17 where we are. In 2004, the studies were  
 18 redone. In 2005, we took it to the leadership  
 19 group and we made a presentation to them, and  
 20 then from there, to the Board of Directors.  
 21 Q. When was that in 2005, that presentation?  
 22 A. That would have been in the fall. I don't  
 23 recall the date exactly, but I suspect it was  
 24 about November, December.  
 25 Q. After the SENES Consultants report came out in

Page 21

1 October 2005?  
 2 A. Well, I'm not quite sure of the timing there,  
 3 but we did do the economic analysis and it was  
 4 certainly based on the newer forecast price  
 5 for fuel.  
 6 Q. Perhaps we could refer for a moment to the  
 7 SENES Consultants report, which is IC-1, sub  
 8 B. Do you have it there before you?  
 9 A. Yes, I do.  
 10 Q. Are you familiar with that report, Mr. Haynes?  
 11 A. I have not read the whole of the report, but  
 12 I'm pretty familiar with the report.  
 13 Q. The information in this report, and this was  
 14 the most up-to-date modelling which was done  
 15 for the 2004 year -  
 16 A. Yes.  
 17 Q. - would that have been information that was  
 18 available to you and incorporated in your  
 19 presentation to senior management in the fall  
 20 of 2005?  
 21 A. Aspects of it were, particularly from the  
 22 point of view of that we're not meeting the  
 23 environmental requirements of the Province.  
 24 Q. There was evidence through Mr. Ricketts, in  
 25 terms of questioning and answers, which

Page 23

1 some cases, the SO2 emissions?  
 2 A. I have not concluded that the model is over  
 3 predicted.  
 4 Q. I understand what you're saying. I'm asking  
 5 what information did you give to senior  
 6 management in the fall of 2005?  
 7 A. That -  
 8 Q. Am I to take it from what you're saying that  
 9 you did not--perhaps because you don't agree,  
 10 but that you did not advise senior management  
 11 that the SENES report indicated over  
 12 prediction in some--certainly in some cases,  
 13 based on the available monitoring data?  
 14 A. I don't recall if we actually talked about the  
 15 report per se to senior management. We  
 16 certainly did say that we were outside the  
 17 limits prescribed by Government for the  
 18 concentrations of sulphur dioxide particulate.  
 19 Q. As predicted by the modelling?  
 20 A. As predicted by the model, which is the system  
 21 in place by the Government.  
 22 Q. I'd like to move on then to talk about the  
 23 ambient air monitoring system that Hydro  
 24 currently has in place in Holyrood. It was  
 25 Mr. Ricketts' evidence, and I believe this is

Page 22

1 demonstrated that some of the modelling  
 2 predictions were over predictions, based on  
 3 what your actual monitoring stations were  
 4 recording. Was that information made known to  
 5 senior management by you in the fall of 2005  
 6 presentation?  
 7 A. I can't comment whether they're over  
 8 predictions. The actual modelling actually  
 9 pinpoints locations. Our monitoring stations  
 10 that we have in the field are not necessarily  
 11 at those exact locations because there's no  
 12 power available, because they're on private  
 13 property, we can't get there or whatever. So  
 14 I would be reluctant to say that they were  
 15 over estimations. The requirements, I guess,  
 16 and the protocol in place at the Provincial  
 17 government, Department of Environment, is  
 18 based on modelling, you know, and certainly  
 19 the results do indicate that there are areas  
 20 that we have exceedance, particularly on  
 21 sulphur dioxide.  
 22 Q. So am I to take it from that, Mr. Haynes, that  
 23 the information you would have given to senior  
 24 management in the fall of 2005 was not that  
 25 the modelling was over predicting, at least in

Page 24

1 at page 28 and 29 of the transcript, that they  
 2 have--that Hydro has an intricate, and in fact  
 3 a more intricate grid of monitoring than other  
 4 utilities in the Atlantic Provinces. Were you  
 5 aware of that?  
 6 A. Yes.  
 7 Q. And that the fifth site, the Indian Pond drive  
 8 site, was set up fairly recently. Mr.  
 9 Ricketts' evidence was that it was established  
 10 late 2003, early 2004.  
 11 A. That's correct.  
 12 Q. Do you know--that's about the time I think you  
 13 mentioned that you became a member of the  
 14 study group. Do you know why that fifth  
 15 station was established and why it was  
 16 established at that site?  
 17 A. Prior to that, we actually installed a  
 18 temporary monitoring station in the Seal Cove  
 19 area, basically because we had numerous  
 20 complaints, particularly around Indian Pond,  
 21 from the residents that the smell, the smoke,  
 22 etcetera, etcetera, was a major irritant and a  
 23 nuisance. The temporary instrumentation that  
 24 we did install did indicate that there were  
 25 some excursions and so basically we had

Page 25

1 proposed a capital budget item to the Public  
 2 Utilities Board to install what we called a  
 3 mobile site. Mobile is basically it's in a  
 4 trailer and we can move it around, but it's  
 5 not something that we'll drag around on a  
 6 moment's notice. It's more of a you put it  
 7 here for a few years, maybe later on if things  
 8 change and there's, you know, an identified  
 9 need somewhere else, we could relocate it. It  
 10 was specifically put in that area because  
 11 there were numerous complaints and we wanted  
 12 to validate that before we actually tried to  
 13 take action or to propose that we actually go  
 14 and spend money, capital or operating, to fix  
 15 these issues, to give us -  
 16 Q. Is it still--I'm sorry, Mr. Haynes. Is it  
 17 still in that area?  
 18 A. Yes, it is.  
 19 Q. Is there any current plans to move it from  
 20 that area?  
 21 A. No, not at this point in time.  
 22 Q. You mentioned in some of your earlier answers,  
 23 Mr. Haynes, that one of the problems, as you  
 24 understand it, with monitoring is it may not  
 25 be possible or it may be difficult to place

Page 27

1 report only identified, in terms of the top 50  
 2 concentrations, hourly concentrations, the  
 3 area around Seal Cove that we're talking about  
 4 here, the Indian Pond Drive, as being a  
 5 highest high point?  
 6 A. I'm not sufficiently familiar with the report.  
 7 Q. You referred to other sites that you  
 8 understand also had high concentrations of  
 9 SO2. There was the evidence of Mr. Ricketts  
 10 that some of those areas were in the vicinity  
 11 of the Lawrence Pond site, not necessarily  
 12 close by, but in that general area. It was my  
 13 understanding from Mr. Ricketts' evidence  
 14 though that those earliest highest highs,  
 15 earlier highest highs, were in respect of wind  
 16 data that was input (ted into the modelling,  
 17 that was found to be less than reliable. Up  
 18 until the 2004 modelling, the wind data that  
 19 was being used was from places like the St.  
 20 John's Airport, Argentia, other areas some  
 21 removed from Holyrood. The 2004 modelling,  
 22 which is reported in the SENES report, was the  
 23 first one that used, as Mr. Ricketts described  
 24 it, more accurate local weather data, in  
 25 particular wind direction being more accurate

Page 26

1 monitoring stations in all of the areas that  
 2 the Department might like to see it. But  
 3 isn't Indian Pond Drive sited at or very near  
 4 the highest high for SO2 concentrations, as  
 5 shown by the 2004 modelling?  
 6 A. I believe it is, but I'm not absolutely sure.  
 7 It was partly response to our neighbours'  
 8 complaints and I know that our plant personnel  
 9 have gone over in that area when they've  
 10 complained sometimes and actually, you know,  
 11 you actually do see it, smell it, etcetera.  
 12 Q. So what other highest high points, other than  
 13 at or near Indian Pond Drive, are you  
 14 referring to when you say that there would be  
 15 difficulty in siting stations at those sites?  
 16 A. I think some were up in the--I'll say up in  
 17 the hills or I don't recall the actual name of  
 18 the hill, but there are some that are somewhat  
 19 remote. You have to look at the topology, you  
 20 know, the prevailing winds and so on, and  
 21 there's no power supply up there and you know,  
 22 there are no immediate neighbours per se.  
 23 However, that's not an excuse to pollute  
 24 obviously.  
 25 Q. Are you aware that the SENES Consultants

Page 28

1 and resulted in different results in the 2004  
 2 modelling than you'd seen in previous years.  
 3 Were you aware of that, that the 2004  
 4 modelling, in fact, showed different results  
 5 from previous years?  
 6 A. Yes, and I recall looking at, you know, the  
 7 isopleths or the drawings that actually show  
 8 the areas of exceeding the regulations and  
 9 they have changed over time. Some of it due  
 10 to the wind regime or the weather patterns,  
 11 and certainly a lot of it, due to better data.  
 12 Q. So under this, the more accurate modelling  
 13 that was done in 2004, using more accurate  
 14 weather data, are there any other high SO<sub>2</sub>  
 15 concentration areas that you're aware of,  
 16 other than the one that's in the vicinity of  
 17 Indian Pond Drive?  
 18 A. I'm reluctant to answer off the cuff. It  
 19 seems to me that there were a few, but I can't  
 20 be specific. There were two or three--there  
 21 are three or four topo maps that come to mind  
 22 with a couple of red marks in different  
 23 locations, but -  
 24 Q. Perhaps it would be of assistance, Mr. -  
 25 A. - but the issue is that we are violating. We

Page 29

1 are outside the regulations, and whether it's  
 2 one kilometre, two kilometres or whatever, we  
 3 are in violation of the Act.  
 4 Q. Perhaps it would be of assistance to turn to  
 5 the SENES Consultants report for the Board,  
 6 IC-1 sub B. And at the same time, if I could  
 7 ask, do you have PUB No. 6, the RFI response?  
 8 And the page of PUB No. 6 that I wanted to  
 9 refer to was page three.  
 10 A. Okay.  
 11 Q. And you'll see, starting with that, you'll see  
 12 that that locates us for us the Indian Pond  
 13 Drive monitoring station?  
 14 A. Yes.  
 15 Q. And then if I could ask, while still keeping  
 16 PUB-6 open, if we could turn to page 4-4 of  
 17 the SENES Consultants report. And at the top  
 18 of that page, 4-4 of the SENES report, there's  
 19 a figure 4.2 which shows contours of ISO  
 20 exceedance of one hour SO2 concentrations, and  
 21 the discussion with respect to that figure is  
 22 on the previous pages, pages 4-2, 4-3. And on  
 23 4-2, there's a discussion under the heading  
 24 SO2, "the maximum one-hour concentration of  
 25 3,147 micrograms per cubic metre exceeds the

Page 31

1 A. Yes.  
 2 Q. And you'll see that the predicted high  
 3 figures, the ones that are predicted to be in  
 4 exceedance of the 900 microgram standard as  
 5 set by Government, are at Lawrence Pond,  
 6 Indian Pond, and Indian Pond Drive, although I  
 7 do note that there is a footnote to the Indian  
 8 Pond Drive that the data for Indian Pond Drive  
 9 has only been available since late 2004. The  
 10 data for Lawrence Pond and for Indian Pond for  
 11 predicted, as compared to observed, would you  
 12 agree that they are over predicting, based on  
 13 that information, by a factor of four?  
 14 A. Well, the observed is obviously lower than the  
 15 predicted, yes.  
 16 Q. And would you agree by a very significant  
 17 margin?  
 18 A. Yes, but I would go back to what's in the  
 19 introductory comments to this particular  
 20 report, which basically said that there was a  
 21 favourable comparison. The CALPUFF model  
 22 results favoured--compared favourably with the  
 23 concentrations monitored at the four stations.  
 24 So I'm -  
 25 Q. I recognize that's a general comment made at

Page 30

1 AQS criteria. Figure 4.1 presents the maximum  
 2 SO2 one-hour concentration isopleths. Plots  
 3 for all the contaminants are contained in  
 4 Appendix B." Then it goes on on the next page  
 5 to talk about Figure 4.2 presents the hours of  
 6 exceedance of the one-hour SO2. "At the  
 7 maximum location, the standard is predicted to  
 8 be exceeding five times in 2004. Note that  
 9 the graphic is zoomed in to be able to see the  
 10 areas of exceedance." So that is what Figure  
 11 4.2 is intended to show. Would you agree that  
 12 the new Indian Pond Drive site is in the very  
 13 midst of the area of concentration that's  
 14 shown by Figure 4.2?  
 15 A. Yes, it certainly implies that.  
 16 Q. If we could stay in the SENES report for a  
 17 moment and turn to Table 4.6, which is at page  
 18 4-7.  
 19 A. Table 4.6, yes.  
 20 Q. At page 4-7. And you'll recall that earlier I  
 21 had asked you whether any information had been  
 22 provided to senior management about the over  
 23 prediction of SO2 concentrations. Table 4.6  
 24 is a comparison of predicted and monitored SO2  
 25 concentrations?

Page 32

1 the beginning, but I guess the facts don't  
 2 lie, I suppose, in terms -  
 3 A. No.  
 4 Q. - of Table 4.6., and I'd suggest to you that  
 5 that is a significant over prediction,  
 6 particularly when you bear in mind that the  
 7 observed is significantly below the 900  
 8 microgram standard.  
 9 A. Yeah.  
 10 Q. And then if we look at Indian Pond Drive, and  
 11 I acknowledge the footnote that the  
 12 information from Indian Pond Drive is  
 13 relatively new and you don't have as deep a  
 14 data set, but is there any reason to think  
 15 that what's happening at Indian Pond Drive is  
 16 not also an over prediction, even based on  
 17 early data?  
 18 A. I'm really not qualified to say. That would  
 19 be more of a science question, which I'm not  
 20 an expert in. But the Indian Pond Drive is  
 21 much closer to the plant and it's been the  
 22 source of many residential complaints.  
 23 Q. If Indian Pond Drive was also, over time, if  
 24 the data for Indian Pond Drive was also to  
 25 show consistent over prediction, and if Indian

Page 33

1 Pond Drive is at or very near the highest high  
 2 point that's been identified by SENES, would  
 3 that tell you that the modelling is not  
 4 providing accurate information with respect to  
 5 actual SO2 concentrations from Holyrood?  
 6 A. The modelling is just that, it's a model.  
 7 It's a deterministic model whereby you feed in  
 8 a whole raft of parameters and a lot of it  
 9 based on weather and emissions, fuel content,  
 10 and measured stack emissions and it's not a  
 11 probabilistic model. It's a deterministic one  
 12 and you can change many parameters to affect  
 13 the outcome. I mean, there are some  
 14 indications there which are actually the  
 15 observed is higher than the model. The model  
 16 is not perfect.  
 17 Q. Let's talk about those for a second. I think  
 18 you were indicating the Green Acres and  
 19 Butterpot -  
 20 A. Yeah.  
 21 Q. - observations. There were some comments by  
 22 SENES about that. If you want to turn to page  
 23 4-8, and they're talking about the two other  
 24 monitoring stations which, as you've noted,  
 25 showed under prediction that are not in the

Page 35

1 whatever, I would imagine.  
 2 Q. So based on this modelling study, the model  
 3 concentrations are less than the measured SO2  
 4 concentrations, which is likely contributable  
 5 to background. Would you understand they are  
 6 explaining the under prediction at Green Acres  
 7 and Butterpot on the basis that it's  
 8 background SO2 that's leading to the higher  
 9 observed readings at Green Acres and  
 10 Butterpot?  
 11 A. They're certainly implying that. They say  
 12 it's likely.  
 13 Q. You mentioned in some of your earlier  
 14 testimony, Mr. Haynes, that over the years,  
 15 since you've been involved with this study  
 16 group looking at this issue, that there have  
 17 been--you didn't want to call them disputes,  
 18 but discussions with the Department, with the  
 19 regulator, about this issue, and there wasn't  
 20 always complete agreement between the  
 21 Department and Hydro on it. Was one of those  
 22 issues the question of using this modelling  
 23 alone to predict SO2 concentrations?  
 24 A. Yes, we discussed that in meetings with the  
 25 regulator. However, I mean, the models are

Page 34

1 predominant wind direction. Green Acres and  
 2 Butterpot show much better agreement of the  
 3 predicted and monitored concentrations for one  
 4 hour and 24 averaging periods. So I think  
 5 they're indicating that although there's under  
 6 prediction, the under prediction isn't of the  
 7 same magnitude as the over prediction -  
 8 (9:45 a.m.)  
 9 A. No, it's not.  
 10 Q. - in the other stations. They then go on to  
 11 say "for all time averaging periods, the  
 12 predicted concentrations at these stations are  
 13 less than the observed. If a suitable  
 14 background concentration was added to these  
 15 predicted concentrations, the agreement would  
 16 improve." They then go on in the next  
 17 paragraph, "on an annual basis, it would be  
 18 expected that the monitoring concentration  
 19 should always be higher than the modelled  
 20 concentrations, as there are other sources  
 21 that will contribute to the ambient SO2  
 22 level." By other sources, would you  
 23 understand them to mean other sources than  
 24 Holyrood?  
 25 A. Yes, other people's furnaces, for instance, or

Page 36

1 well recognized across North America. They're  
 2 endorsed by the EPA of the U.S. Department of  
 3 Environment and they're used in many  
 4 jurisdictions, and it's not an uncommon method  
 5 to regulate based on modelling. It's very  
 6 common.  
 7 Q. Do you know, Mr. Haynes, whether in other  
 8 jurisdictions where they're using this CALPUFF  
 9 modelling, whether they have the same over  
 10 prediction issues that appear to be the case  
 11 here?  
 12 A. I don't--I do not know.  
 13 Q. If I could ask the Board and Mr. Haynes, if we  
 14 could turn to CA-18, which is a Guidance  
 15 Document. CA-18, I'm sorry, sub A, which is a  
 16 Guidance Document issued by the Department of  
 17 Environment and Conservation.  
 18 A. Yes.  
 19 Q. Entitled "the determination of compliance with  
 20 the ambient air quality standards." You'll  
 21 see that there's a second revision, September  
 22 20th, 2005. To your understanding, is this  
 23 Guidance Document still applicable to the  
 24 Holyrood operation?  
 25 A. That's my understanding, yes.

Page 37

1 Q. If I could ask you then to turn to paragraphs  
 2 9, 10 and 11 of that document? That's at page  
 3 10 of that Guidance Document.  
 4 A. Yes.  
 5 Q. Mr. Haynes, you've indicated in your evidence  
 6 that it's your understanding that the Holyrood  
 7 emissions are non-compliant with the  
 8 regulator?  
 9 A. Yes.  
 10 Q. And if one looks at paragraph nine, "if non-  
 11 compliance is determined, a facility may elect  
 12 to enter into a compliance agreement with the  
 13 Department for the purposes of," and there are  
 14 two options, maybe not mutually exclusive, but  
 15 nonetheless, two options, "attaining  
 16 compliance within a reasonable time frame; or  
 17 establishing a compliance ambient monitoring  
 18 network at locations of maximum predicted non-  
 19 compliance." When did Hydro first become  
 20 aware that it was non-compliant with the  
 21 regulator?  
 22 A. I can't answer specifically, but I believe in  
 23 all the previous testing as well, there were  
 24 areas of--there were times of non-compliance.  
 25 There were questions on the data quality.

Page 39

1 Q. I'm sorry, when the Guidance Document was  
 2 brought into force?  
 3 A. When the guidance--there was some changes  
 4 made.  
 5 Q. Sure.  
 6 A. And I don't recall specifically the changes,  
 7 but certainly when these changes were made, it  
 8 made us much more accountable and this was it,  
 9 so to speak.  
 10 Q. Do you recall what the nature of those changes  
 11 were?  
 12 A. I don't recall offhand. I think part of it  
 13 was the change in the model to the CALPUFF  
 14 model instead of whatever we used before, was  
 15 part of it. And basically the modelling was  
 16 going to be the basis of the regulation.  
 17 Q. Going back then to paragraph 9A, whenever non-  
 18 compliance was determined, did Hydro elect to  
 19 enter into or negotiate a compliance agreement  
 20 with the Department?  
 21 A. Certainly we started. There were discussions  
 22 on a compliance agreement, along concurrently  
 23 with the certificate of approval, and -  
 24 Q. This is the certificate of approval that was  
 25 issued in February of 2006?

Page 38

1 There were questions on the weather regime  
 2 they were using, because, you know, St. John's  
 3 and Gander is a little bit remote from  
 4 Holyrood. And there were also questions on  
 5 the actual stack effluent itself, which has  
 6 been complemented by the continuous emissions  
 7 monitoring system to give them more realistic  
 8 data.  
 9 Q. With respect to SO2 emissions, when did Hydro  
 10 become aware that it was non-compliant?  
 11 A. A few years ago. I don't know the date  
 12 specifically.  
 13 Q. Okay, was there some -  
 14 A. But this particular document -  
 15 Q. - some notice issued by the Department, by the  
 16 regulator some years ago with respect to non-  
 17 compliance?  
 18 A. No, I don't know if there was actually a  
 19 formal notice, but this particular document  
 20 was actually -  
 21 Q. The Guidance Document?  
 22 A. The Guidance Document was actually, the issue  
 23 date 2001, 2004 was I guess when there was a  
 24 lot of attention paid to that by us, when it  
 25 was actually brought into force.

Page 40

1 A. Yes, but concurrently with that, there was  
 2 discussions on a compliance agreement with  
 3 respect to air emissions specifically.  
 4 Q. So when would those discussions with respect  
 5 to a compliance agreement, when would they  
 6 have commenced?  
 7 A. They would have commenced over a year ago, we  
 8 probably started that. A long time getting  
 9 the, you know, certificate of approval and the  
 10 compliance agreement, and we never did execute  
 11 a compliance agreement.  
 12 Q. Is there a draft or was there ever a draft  
 13 compliance agreement?  
 14 A. There were several drafts back and forth, yes,  
 15 between the parties.  
 16 Q. With respect to SO2?  
 17 A. Well, the compliance agreement in general,  
 18 there was a document there, but emissions was  
 19 the key.  
 20 Q. Including SO2 emissions?  
 21 A. I believe it was specifically stated, yes,  
 22 SO2, and we--you know, they expect a plan, how  
 23 we're going to get to compliance, and what  
 24 we're doing right now doesn't assure us of  
 25 compliance. The calculations actually imply

Page 41

1 that we need .6 percent sulphur to be  
 2 compliant, and we haven't proposed that.  
 3 Q. Has a compliance agreement been entered into  
 4 with the Department?  
 5 A. No.  
 6 Q. So they haven't agreed to one percent sulphur  
 7 reduction being the solution?  
 8 A. No, they haven't, but we think we have a--we  
 9 think that by going to one percent sulphur and  
 10 doing our best in the plant with respect to,  
 11 you know, watching the situation and maybe  
 12 curtailing load occasionally, when we have to,  
 13 if we can, if there are other generation  
 14 available, we have a pretty good crack of  
 15 getting it. But at the end of the day, give  
 16 us, you know, a year or two burning one  
 17 percent sulphur fuel and we're still non-  
 18 compliant, obviously we'll have to address the  
 19 issue again.  
 20 Q. In the course of those discussions which  
 21 you've told us, Mr. Haynes, went on over a  
 22 year, did the Department give any indication  
 23 to Hydro of what they considered, the  
 24 Department, a reasonable time frame to bring  
 25 yourself within compliance?

Page 43

1 A. But we already have an ambient monitoring  
 2 network, which we've had in place in various  
 3 forms since 1994/95. So we have quite a bit of  
 4 data already accumulated and with the added  
 5 information, I guess, from the continuous  
 6 emissions monitoring, a better utilization of  
 7 the local weather. We don't think there's  
 8 anything to be gained by that. We already  
 9 have a tremendous amount of data, all of which  
 10 or most of which is incorporated in the  
 11 studies.  
 12 Q. But Mr. Haynes, we know from Mr. Ricketts'  
 13 evidence that all of the modelling for 2004  
 14 was based on weather data which was not  
 15 considered to be as accurate as the weather  
 16 data which is now being used or was used for  
 17 the first time for the 2004 modelling. And we  
 18 also know that all of the previous modelling,  
 19 including the 2004, doesn't include the  
 20 results for Indian Pond Drive, which the 2004  
 21 modelling has shown to be the highest high  
 22 point for concentration. Isn't there reason  
 23 to think that, in fact, the data prior to 2004  
 24 may not have been particularly accurate and,  
 25 in fact, it's on a go-forward basis that we

Page 42

1 A. I don't think so. Certainly the Director, you  
 2 know, basically there's a fairly black and  
 3 white interpretation at times with the  
 4 regulators. You're not in compliance, fix it.  
 5 We didn't get into a discussion on whether it  
 6 was going to be a two-year, three-year, five-  
 7 year time frame to bring us into compliance.  
 8 Q. So the discussions never progressed to that  
 9 point?  
 10 A. I don't think we got that far, no.  
 11 Q. With reference then, if I could ask you, Mr.  
 12 Haynes, to look to paragraph 9B. This seems  
 13 to be an alternative, at least as I read this,  
 14 route of entering into a compliance agreement,  
 15 and that's for the establishment of a  
 16 compliance ambient monitoring network which,  
 17 again as I would read this, would then allow  
 18 you for at least two years, to obtain  
 19 monitoring data based on that network and then  
 20 reevaluate whether there's compliance, based  
 21 on that data.  
 22 A. Um-hm.  
 23 Q. Have there been any discussions, negotiations  
 24 with the Department regarding establishing a  
 25 compliance ambient monitoring network?

Page 44

1 should be looking at the modelling data to  
 2 determine whether there's compliance?  
 3 A. Based on the 2004 data and some of the  
 4 monitoring that we have done, we had been non-  
 5 compliant. So -  
 6 Q. According to the modelling.  
 7 A. And according to December 2005, where there  
 8 were three or four incidents which we  
 9 clarified this morning between--I forget the  
 10 questions, between the PUB questions and the  
 11 CA's questions, where we have had recorded  
 12 events of non-compliance.  
 13 Q. Those December 2005, seeing as you bring them  
 14 up, which station recorded those December 2005  
 15 events?  
 16 A. I don't know offhand.  
 17 Q. Was there an investigation of what were the  
 18 conditions at the Holyrood plant? Was there  
 19 any explanation in terms of any particular  
 20 activities occurring at the plant at that time  
 21 that might have explained the high emissions  
 22 in December 2005?  
 23 A. No, I don't think so. I think it was business  
 24 as usual. What was done was to make sure that  
 25 the instruments were not--were calibrated

Page 45

1 properly and they were functioning properly.  
 2 So it was real data as opposed to, you know,  
 3 testing or some local condition. We've had--  
 4 you know, we've had several--I mean, there's  
 5 anecdotal information, but you know, because  
 6 of complaints, because you know, the smog on  
 7 the ground or whatever, but you know, we don't  
 8 have--there was no--my recollection, there was  
 9 no particular "upset" in the plant that would  
 10 have caused that. It was basically a  
 11 combination of the weather and the loading at  
 12 the time, both of which are very important  
 13 factors in the ground level concentrations.  
 14 Q. The loading, was it a heavy loading period,  
 15 when the 2005 events occurred?  
 16 A. December typically is. We're usually up on  
 17 load at that particular time, during the day.  
 18 I can't say offhand whether we were going flat  
 19 out at that particular time, but in December  
 20 to March, we would often be up on full load,  
 21 if you will, at the plant.  
 22 Q. And what was the weather condition, as you  
 23 understand it, that contributed to the  
 24 December 2005 event?  
 25 A. That I don't know.

Page 47

1 network?  
 2 A. Yes, they would. They were all put in to  
 3 measure our compliance with the regulations.  
 4 Q. Why wouldn't you then elect, under 9B, to  
 5 allow for two years of further monitoring, now  
 6 that you have that fifth station at Indian  
 7 Pond Drive, which doesn't have a very deep  
 8 data set, to determine whether with that  
 9 additional modelling and observations over the  
 10 next two years, using a more accurate model,  
 11 using more accurate weather data as you're now  
 12 doing for the first time or first did for  
 13 2004, why wouldn't you elect, for the next two  
 14 years, to determine by monitoring whether in  
 15 fact you may be able to show that you are in  
 16 compliance?  
 17 A. We don't think it's the prudent thing to do.  
 18 We have had lots of complaints. Some of  
 19 that's anecdotal. We've had three or four  
 20 actual measurements that actually did confirm  
 21 that we were non-compliant. If we had three  
 22 or four under our operating regime, which you  
 23 know, it depends on the load of the plant, I  
 24 mean, basically this plant could be called  
 25 upon for full generation for an extended

Page 46

1 Q. Is it your understanding that there was some  
 2 weather condition that contributed to it?  
 3 A. I would assume that if the--if you look at all  
 4 the individual hours that we monitor and we  
 5 had three events there in one day, I guess--or  
 6 in one small short period, that it was a  
 7 combination of weather and load and maybe  
 8 there was no wind. Maybe it just went up and  
 9 dropped down. Those are all the factors that  
 10 go into the model, which are a little bit--  
 11 it's a best guess, I guess, best information  
 12 you have.  
 13 Q. But would I be correct in saying that since  
 14 1992, which is when I understand the four  
 15 original monitoring sites were established,  
 16 these three exceedance events in December 2005  
 17 are the only confirmed observed exceedances  
 18 that have been measured by any of the five  
 19 stations?  
 20 A. I believe that's correct.  
 21 Q. To go back then to question 9 or paragraph 9B  
 22 in the Guidance Document and the establishment  
 23 of a compliance ambient monitoring network, is  
 24 it your understanding that your five stations  
 25 now comprise a compliance ambient monitoring

Page 48

1 period of time, and if we have three in the  
 2 current operating regime, as we--you know, if  
 3 we call on that plant more, there may be  
 4 dozens. We don't know that. I doubt very  
 5 much it will ever be less. I can only see an  
 6 increase over the time.  
 7 Q. That's very speculative though to say there  
 8 may be dozens if there's only been three in  
 9 the last 13-14 years?  
 10 A. The regulations do not give us the ability to  
 11 forget even one violation. The regulations  
 12 are clear. It's basically says there's no  
 13 allowance in the Provincial regulations that  
 14 we can have three, four or five events over  
 15 two, one to a five-year time frame. It  
 16 basically says you're in violation of the Act  
 17 and regulations.  
 18 (10:00 a.m.)  
 19 Q. But the Department's notice to you, we've seen  
 20 it February 2006, that you are non-compliant,  
 21 is that based on the three exceedances that  
 22 you're talking about in December 2005?  
 23 A. I would expect that's based on the actual  
 24 modelling because that's what the Department  
 25 relies on, the modelling information.

Page 49

1 Q. If I could ask you, Mr. Haynes, to turn to  
 2 paragraph 11 in the Guidance Documents. It's  
 3 on the same page, page 10.  
 4 A. Yes.  
 5 Q. And one of the things that were mentioned, one  
 6 of the issues that was mentioned by Mr.  
 7 Ricketts, and I think it's been alluded to by  
 8 yourself as well, is that it's not always  
 9 practical to have your compliance ambient  
 10 monitoring station at the very spot of the  
 11 predicted non-compliance. Paragraph 11 though  
 12 does appear to allow for negotiation with the  
 13 Department to arrive at agreement that, look,  
 14 you know, we can't put a station on the very  
 15 spot, but we can put one here close by, like  
 16 Indian Pond Drive, for instance. And using  
 17 then the data from that, pro rate observed  
 18 rates against the compliance, against, I'm  
 19 sorry, the modelling rates to arrive at a  
 20 determination of whether there's compliance.  
 21 Have there been discussions or negotiations  
 22 with the Department about establishing a  
 23 compliance agreement along the lines of  
 24 paragraph 11?  
 25 A. Not that I'm aware of. It may have happened

Page 51

1 Q. Thank you, Mr. Chair. Mr. Haynes, I was about  
 2 to move onto the Certificate of Approval, but  
 3 before we move on from the questions I was  
 4 putting to you which was suggesting, I was  
 5 suggesting that perhaps it might be a good  
 6 idea to look at future data as opposed to past  
 7 data from the point of view of modelling. And  
 8 a further question I'd like to put to you  
 9 along those, in reference to that issue is  
 10 what are the projections for loading on the  
 11 Holyrood plant in the coming years give that  
 12 Stephenville mill is now off line?  
 13 A. From an energy point of view there will be,  
 14 I'll say, approximately 500 gigawatt hours  
 15 less. From a demand point of view, for  
 16 instance, in the middle of winter or whatever  
 17 the case was we'll still be operating up at  
 18 full load on occasion, maybe a little less  
 19 frequently, but that can happen at any time.  
 20 But, you know, it's basically the--you know,  
 21 we had planned Holyrood for about three  
 22 terawatt hours of energy. We've certainly got  
 23 some relief with Abitibi Stephenville closed  
 24 in the sense that, you know, basically what  
 25 we'll do is we'll maximize hydraulic resources

Page 50

1 through Environment department, but I'm not  
 2 aware that we've had any ongoing discussion  
 3 with them on that. I mean, the locations that  
 4 we have now are not the ideal locations and I  
 5 presume that's already considered in the  
 6 modelling.  
 7 Q. You've mentioned that, but again, what  
 8 location are you not currently measuring at or  
 9 near to that is a high SO2 concentration area?  
 10 A. I don't recall offhand.  
 11 Q. If we could turn to the certificate of  
 12 approval that was issued in February of 2006.  
 13 CHAIRMAN:  
 14 Q. Excuse me, Mr. Coxworthy. Before you go down  
 15 that road, I'd like to take five minutes,  
 16 please, if I could.  
 17 MR. COXWORTHY:  
 18 Q. Thank you, Mr. Chair.  
 19 (BREAK - 10:02 A.M.)  
 20 (RESUME - 10:09 A.M.)  
 21 (10:09 a.m.)  
 22 CHAIRMAN:  
 23 Q. I apologize, Mr. Coxworthy, Mr. Haynes, for  
 24 interruption. When you're ready, please?  
 25 MR. COXWORTHY:

Page 52

1 and basically Holyrood fills in the gap, but  
 2 we do run it occasion as well, I guess,  
 3 depending on the overall loading situation  
 4 where water is, if we have too much water, too  
 5 little water. It can vary, the hydrology part  
 6 can vary up to 900 gigawatt hours a year and  
 7 all the shortfall is made up from Holyrood.  
 8 Q. But, it is anticipated that with Stephenville  
 9 off-line there will be fewer heavy load or  
 10 maximum load circumstances that there would  
 11 have been if Stephenville were still on-line?  
 12 A. Yes, overall. But, there will be many days  
 13 when we will be operating the plant at full  
 14 load, at full load.  
 15 Q. Has there been any projection at all about how  
 16 many fewer days of heavy load you will have  
 17 due to Stephenville being off-line?  
 18 A. Basically what I see and what I look at is  
 19 basically just the total energy, and I don't  
 20 recall the numbers. There's an energy--there  
 21 is less energy expected from Holyrood and it  
 22 will usually shorten the window--or sorry,  
 23 widen the window in the summer when the plant  
 24 is maybe totally shut down. In December we  
 25 look at our, you know, peak operating months,

Page 53

1 so basically November to March and try to  
 2 make--trying to ensure that all generation is  
 3 available for that period of time.  
 4 Q. Does it stand to reason that there will be  
 5 less fuel burned at Holyrood -  
 6 A. Yes, there will.  
 7 Q. - with Stephenville off-line?  
 8 A. Yes, there will.  
 9 Q. Has there been any projection of that over the  
 10 coming years?  
 11 A. Yes, there has, but I can't recall the number  
 12 offhand. It's basically, say, 500 gigawatt  
 13 hours divided by 600 or 630 or so.  
 14 Q. By order of magnitude can you give us any sort  
 15 of indication of how much less fuel?  
 16 A. 800,000 barrels, I think.  
 17 Q. Has that been part of your discussion with  
 18 government in terms of how you can minimize  
 19 your environmental impact on the environment,  
 20 have you discussed with them the fact that,  
 21 look, here is something that granted wasn't  
 22 anything we did, but nonetheless, it's a  
 23 development that is going to result in our  
 24 having to burn less fuel?  
 25 A. It'll burn less fuel over the year, but it

Page 55

1 Tab 3, the back of that package.  
 2 MR. COXWORTHY:  
 3 Q. Thank you, Ms. Newman. Do you have a copy of  
 4 the Certificate of Approval there?  
 5 A. Yes, I do.  
 6 Q. If I could ask you, Mr. Haynes, to turn to  
 7 page 17 of 20?  
 8 MS. NEWMAN:  
 9 Q. Before you move on, just to make sure  
 10 everybody has it, it's the pre-filed evidence  
 11 of Mr. Haynes, it's attachments to that.  
 12 (10:15 a.m.)  
 13 MR. COXWORTHY:  
 14 Q. Thank you. And at page 17 of 20 I wanted to  
 15 turn to paragraph 76. And the Certificate  
 16 which has now been issued and which applies to  
 17 Holyrood says that Hydro shall be required to  
 18 complete stack emissions testing once every  
 19 four years if it has been show via the  
 20 registered dispersion model that the station  
 21 is in compliance. If it has been show via the  
 22 registered dispersion model that the thermal  
 23 generation station is not in compliance--and  
 24 is it your understanding that that's the  
 25 situation now?

Page 54

1 won't necessarily diminish point emissions if  
 2 we're running at full load, you know. And,  
 3 you know, if you go back to the air quality  
 4 standards and look at one hour and three hour,  
 5 eight hour, 24 hour and you know, if I recall  
 6 in the three hour I think we were about 70  
 7 hours a year that we'll be in violation of the  
 8 Act. So, it's, I don't think that materially  
 9 changes the need to go to one percent sulphur  
 10 fuel.  
 11 Q. Mr. Ricketts suggested that the only way that  
 12 we would know for certain what the impact of,  
 13 for instance, taking Stephenville off is to do  
 14 the modelling over the coming years and obtain  
 15 the observations for the monitoring sites over  
 16 the coming years and see what those are?  
 17 A. Yes, that is a factor, as is hydrology a  
 18 factor.  
 19 Q. If we could turn now to the Certificate of  
 20 Approval? And this is the one that was issued  
 21 February 2, 2006. Sorry, I haven't noted for  
 22 the Board what the exhibit number is. Perhaps  
 23 Ms. Newman could assist me with  
 24 MS. NEWMAN:  
 25 Q. It's attached to the evidence and it's at my

Page 56

1 A. That's my understanding, yes.  
 2 Q. Then the thermal generation station shall  
 3 complete stack emissions testing every two  
 4 years. Is there any other consequence under  
 5 the Certificate of Approval of your not being  
 6 in compliance other than the requirement for  
 7 stack emissions being more frequent, going  
 8 from four to two years?  
 9 A. We've been doing stack emission testing for  
 10 two-year intervals for quite a period of time  
 11 now and that's the primary one. If we were  
 12 compliant, they'd come back and do, I guess, a  
 13 reality check, if you will, every four years.  
 14 But, this is an input, basically or to  
 15 validate some of the input data in the CALPUFF  
 16 modelling. It actually measures the in situ  
 17 gases which we do now with the CEM system, as  
 18 well, if I might add.  
 19 Q. Did you have a Certificate of Approval with  
 20 respect to this particular facility before the  
 21 February, 2006 one that was issued?  
 22 A. I don't think we had to have a Certificate of  
 23 Approval. I'm going out on a limb here, I  
 24 don't think we actually had a Certificate of  
 25 Approval before because it wasn't required.

Page 57

1 That's a new requirement.  
 2 Q. Certainly the evidence that's been filed to  
 3 date would suggest that this would appear to  
 4 be the first one that was issued for various  
 5 reasons. But, my question to you again is  
 6 under the Certificate of Approval the Holyrood  
 7 station's first, or generation plant's first  
 8 Certificate of Approval, is there any  
 9 consequence to being in noncompliance other  
 10 than having to go from four years to two years  
 11 for stack emissions, is there any other  
 12 expressed consequence in the Certificate?  
 13 A. You know, there are lots of other emissions  
 14 besides SO2. There is a provision in the Act  
 15 to fine us for opacity violations which we've  
 16 monitored and we know that we are in violation  
 17 of opacity. And there are other things that  
 18 the minister can do at any point in time with  
 19 respect to action against us. And I guess if  
 20 they were really to exercise a big stick, if  
 21 you will, they can basically fine us or take  
 22 us to court based on the current emissions.  
 23 The modelling does not support the fact that  
 24 we are complaint.  
 25 Q. Have they, in fact, indicated they're going to

Page 59

1 A. Yes. We met with the deputy minister and with  
 2 the director on two or three occasions. There  
 3 was, you know, frank--and the environment  
 4 department basically took the lead on, and the  
 5 legal department, on the actual Certificate of  
 6 Approval and so on. There was many exchanges.  
 7 Q. The third paragraph of that February 2nd, 2006  
 8 letter, Mr. Haynes, I had a few questions  
 9 about some of the statements that are made by  
 10 the department in that letter. The first  
 11 sentence is they are indicating that they have  
 12 found you to be non-compliant with respect to  
 13 ambient air concentrations of sulphur dioxide,  
 14 particulate matter and nitrogen oxide, oxides  
 15 in areas outside of the station property line?  
 16 A. Yes.  
 17 Q. Then goes on to say, "Furthermore, this  
 18 department cannot issue a compliance agreement  
 19 if Hydro remains unwilling to acknowledge non-  
 20 compliance." Was Hydro denying its non-  
 21 compliance as of February 2nd, 2006?  
 22 A. Were we denying that we were non-compliant?  
 23 We would not sign a piece of paper saying that  
 24 we were non-compliant if there was a

Page 58

1 take any of those big stick approaches?  
 2 A. They haven't said that, no, but they haven't  
 3 said they're not.  
 4 Q. If I could ask you, Mr. Haynes, I think this  
 5 has been entered in as information letter No.  
 6 2 this morning, to turn to the February 2nd,  
 7 2006 letter of the department to Hydro, which  
 8 was the covering letter to the Certificate of  
 9 Approval?  
 10 A. Yes.  
 11 Q. Had there been anything received from the  
 12 department prior to this February 2nd, 2006  
 13 letter received by Hydro that indicated that  
 14 the department considered the Holyrood plant  
 15 to be non-compliant or its emissions to be  
 16 non-compliant?  
 17 A. There was another letter, but I'm not sure of  
 18 the date. I think it was a little bit after  
 19 that one. I think that was the initial one  
 20 that came with the Certificate, other than  
 21 discussions in meetings and so no, which there  
 22 have been many on this particular item.  
 23 Q. Were you party to these meetings?  
 24 A. Some of the meetings, not all of the meetings.  
 25 Q. With department officials?

Page 60

1 possibility of, you know, further court action  
 2 and so on. That was basically a legal issue  
 3 whereby we basically were not prepared to  
 4 actually--we didn't think that we needed to  
 5 admit that we were non-compliant on paper,  
 6 signed, seals and delivered, to actually enter  
 7 into an compliance agreement. They would not  
 8 agree to that and we wouldn't admit that we  
 9 were non-compliant. But, we realized we had  
 10 areas of non-compliance. It was unnecessary  
 11 to seal our fate that way, as far as we're  
 12 concerned.  
 13 Q. But, help me understand this, Mr. Haynes. You  
 14 filed, Hydro has filed, I should say, I'm  
 15 sorry, in January this year an application  
 16 which I understand is based on the rationale  
 17 for bringing the application and seeking  
 18 approval for one percent fuel that you are  
 19 non-complaint?  
 20 A. That we are determined non-compliant by the  
 21 regulator, yes. The regulator has determined  
 22 us to be non-compliant.  
 23 Q. But, you're not prepared to acknowledge that?  
 24 A. Not in a legal document, no. We weren't  
 25 prepared to do it with respect to the

Page 61

1 Compliance Agreement.  
 2 Q. Is that the only obstacle to entering in a  
 3 compliance agreement with the department, that  
 4 you're not prepared to acknowledge what you  
 5 yourself have acknowledged is the modelling  
 6 result which you say is the result that you  
 7 have to live with because government has  
 8 imposed this modelling result?  
 9 A. I don't know if I saw the actual last draft of  
 10 the Compliance Agreement, but there are many  
 11 things in the Compliance Agreement that were  
 12 there, things as being exceeding regulations.  
 13 They wanted the plan to be fully compliant and  
 14 not only to be fully compliant to be, exceed  
 15 the regulations. And, you know, we weren't--  
 16 there were several things which caused us some  
 17 concern, but the biggest one was, you know,  
 18 that we did not want to actually sign in a  
 19 formal document with the regulator that we  
 20 were non-compliant. But, there were other  
 21 issues, and I don't recall them all, but  
 22 exceeding compliance was one of the things  
 23 they wanted in that document which we had some  
 24 trouble with.  
 25 Q. Were there other issues--the other issues you

Page 63

1 percent, at least based on this letter and  
 2 what you're telling me, we don't know and you  
 3 can't say that the department will accept that  
 4 you're compliant?  
 5 A. No, they may not.  
 6 Q. By that move?  
 7 A. They may not. I mean, their modelling says we  
 8 have to be .6 percent sulphur to be compliant.  
 9 We're suggesting that if we go to one percent  
 10 sulphur, that we can make major inroads and  
 11 maybe even make it with more modelling in the  
 12 intervening period.  
 13 Q. Have you in the course of your discussions  
 14 with Hydro proposed to them either  
 15 concurrently with a one percent reduction in  
 16 sulphur fuel or otherwise your proceeding on  
 17 to paragraph 9(b) of the Guidance Document,  
 18 which we were referring to before, allowing  
 19 for a period of time, a further two years of  
 20 monitoring and then using that data to prorate  
 21 the model information with the observation  
 22 information?  
 23 A. I don't recall any level of discussion on  
 24 that. It may have happened between the  
 25 environment department and the government, I'm

Page 62

1 mentioned that were obstacles to signing a  
 2 non-compliance agreement, were they in respect  
 3 of SO2 emissions?  
 4 A. I think they were just emissions in general.  
 5 There are particulate issues and there are  
 6 SO2, nitrous oxide issues, although they're  
 7 very small. Particulate and SO2 were the  
 8 primary ones.  
 9 Q. Are negotiations ongoing with the department  
 10 about entering into a compliance agreement  
 11 that you may be able to accept?  
 12 A. Not at this time. There's been no  
 13 negotiations on the Compliance Agreement for  
 14 some time now.  
 15 Q. Is it anticipated that there will be future  
 16 negotiations?  
 17 A. I'm not sure. If--we think that by going to  
 18 one percent sulphur fuel and we do the  
 19 monitoring that we will be compliant, so if  
 20 that buys it with the department, they may  
 21 come back tomorrow and demand that, I'm not  
 22 sure. That's--we're not actively seeking to  
 23 sign a compliance agreement at this point in  
 24 time.  
 25 Q. But, if you do get approval to go to one

Page 64

1 not sure.  
 2 Q. Do you know if that's part of this draft  
 3 compliance agreement, is there any -  
 4 A. I don't recall offhand.  
 5 Q. Would there be any objection by Hydro to  
 6 moving to that sort of regime?  
 7 A. Can you just repeat, can you just -  
 8 Q. Referring again, and perhaps we need to go  
 9 back to it, to the Guidance Document,  
 10 paragraphs 9(a) and paragraph 11, which you'll  
 11 recall talks about the ability of using a  
 12 compliance monitoring network and taking the  
 13 data from that network for a period of two  
 14 years and then prorating that data against the  
 15 modelling results so that if you have, for  
 16 instance, the type of over-prediction events  
 17 that we saw in the SENES Report there's an  
 18 ability to go back to the department and say,  
 19 yes, the model predicts this, but it should be  
 20 prorated based on our observations. Have  
 21 there been any discussions with Hydro, I'm  
 22 sorry, with the department about entering into  
 23 a compliance agreement along those lines?  
 24 A. With two percent or one percent fuel?  
 25 Q. With either.

Page 65

1 A. Either. I don't think there have been any  
 2 major discussions, no. But, I mean, from a  
 3 point of view of, I guess we've gone based on  
 4 their modelling, 70 percent of the distance to  
 5 what they deem to be, what the modelling  
 6 indicates would make us fully compliant with  
 7 the SO2 side. We've gone 70 percent of the  
 8 way. And I don't think we have any objection  
 9 at all to agreeing that we would want to  
 10 monitor that for two years and then we see  
 11 where we go. You know, what we're trying to  
 12 avoid is a major capital investment of 150,  
 13 200 million dollars to clean it up as it would  
 14 be done if it was a new plant.  
 15 Q. So, you say Hydro would have no objection.  
 16 Has Hydro actually proposed that to the  
 17 department as a basis for a compliance  
 18 agreement, to use a compliance ambient air  
 19 monitoring network?  
 20 A. I don't think we have, no.  
 21 Q. Why not?  
 22 A. Because we believe that between the evidence  
 23 that we have, between the modelling, that we  
 24 are non-compliant and that we need to make  
 25 progress towards being compliant.

Page 67

1 A. Yes.  
 2 Q. It's page 2 of 2, CA-5. And if I could refer  
 3 you then to the bottom of the last paragraph.  
 4 I'm sorry, and I said it was February 6, it's  
 5 February 9, 2006. And the last paragraph  
 6 reads, "The department is willing to continue  
 7 discussing options for reducing emissions and  
 8 compliance agreements to allow time for Hydro  
 9 to implement mitigative measures." Has there  
 10 been any discussion between Hydro and the  
 11 department as to how much time Hydro might be  
 12 given -  
 13 A. I don't recall a discussion -  
 14 Q. - to bring in mitigative measures?  
 15 A. I don't recall that. We met with them, we  
 16 presented our approach. Their initial comment  
 17 was, a good start. Definitely, we didn't get  
 18 embraced, if you will, that this was the right  
 19 thing to do. It was basically the comment was  
 20 it was a good start, definitely not enough, in  
 21 their mind. That's what I specifically recall  
 22 when we actually tabled the plan to actually  
 23 move down to a lower sulphur fuel.  
 24 Q. Have they withdrawn this invitation by this  
 25 last paragraph they are willing to continue to

Page 66

1 Q. But, you've just said to us, Mr. Haynes, you  
 2 are prepared to acknowledged, the department--  
 3 you're prepared to say here in this room that  
 4 you're non-compliant -  
 5 A. Yes, I'm prepared to say it here, yes.  
 6 Q. - but you're not prepared to acknowledge it to  
 7 the department. I'm having difficulty  
 8 reconciling -  
 9 A. The department has determined us to be non-  
 10 compliant. We have proposed to go 70 percent  
 11 the distance to what they think would make us  
 12 compliant, which would be .6 percent. We  
 13 propose to go to one percent sulphur fuel.  
 14 You know, another couple of years of  
 15 monitoring and maybe we will be compliant,  
 16 hopefully we will. But, to actually sign a  
 17 document was a legal advice that we would not  
 18 actually commit that in writing that  
 19 particular way with the department, with the  
 20 regulator.  
 21 Q. If I could ask you, Mr. Haynes, to turn to,  
 22 the document is at CA-5, the RFI results, and  
 23 it's the February 6th, I believe, 2006 letter  
 24 from the department that actually deems you to  
 25 be, deems Hydro to be in non-compliance?

Page 68

1 discuss options for reducing emissions and  
 2 compliance agreements, have they -  
 3 A. No, I don't -  
 4 Q. - said to you they don't want to talk any  
 5 more?  
 6 A. I don't think so. I'm sure they're willing to  
 7 talk. But, we presented the one percent  
 8 sulphur fuel plan and basically it was a good  
 9 start was the comment that sticks in my mind.  
 10 Q. Mr. Haynes, if we could turn, I think this  
 11 document was entered in as Information No. 1  
 12 this morning, Mr. Chair, to a letter dated  
 13 November 3, 2004? This is a--perhaps a moment  
 14 could be taken to provide a copy to Mr.  
 15 Haynes.  
 16 MR. HAYES:  
 17 Q. Excuse me, I don't believe we have a copy of  
 18 that.  
 19 MS. NEWMAN:  
 20 Q. That's a letter from Newfoundland and Labrador  
 21 Hydro, November 3rd, 2004 to the Board.  
 22 MR. COXWORTHY:  
 23 Q. It was circulated late on Friday, but -  
 24 A. Oh, it was circulated on Friday?  
 25 Q. After we'd adjourned.

Page 69

1 A. I have it now.  
 2 Q. Mr. Haynes, are you familiar with this letter?  
 3 A. Yes.  
 4 Q. And it's actually referred to, I would note  
 5 for the record, in paragraph 3 of Hydro's  
 6 application here before the Board. Were you  
 7 involved in this information being provided to  
 8 the Board in November, 2004?  
 9 (10:30 a.m.)  
 10 A. Yes, I was.  
 11 Q. I would like to go to this letter and  
 12 identifies certain issues and I guess  
 13 identifies where we are today as compared to  
 14 where you were in November 3rd, 2004. Was  
 15 this an attempt, and I guess I'm referring to  
 16 the last sentence on the first page, to map  
 17 out to the PUB where you thought you were  
 18 going to be over the coming year term, in  
 19 terms of environmental issues?  
 20 A. This was a year or so after we actually done  
 21 the first review of changing the sulphur  
 22 content at Holyrood. In our initial, when we  
 23 did--you asked about, before about staging, or  
 24 Geoff did, we looked at going from 2.2 and  
 25 then moving down over time. Part 1 of the

Page 71

1 regulations, the interpretation document that  
 2 the government are now using has more force.  
 3 I can't recall the base, but it seems to me  
 4 it's now fully implemented that particular,  
 5 the Guidance Document on the application of  
 6 model is now entrenched more than it was  
 7 before, but I don't recall the mechanics.  
 8 Q. But, we've been through that Guidance  
 9 Document. What about that Guidance Document  
 10 makes it more difficult to implement a staged  
 11 reduction in fuel than was the case in  
 12 November of 2004?  
 13 A. I'm sorry?  
 14 Q. What in that Guidance Document is more, has  
 15 placed a more stringent requirement on Hydro  
 16 with respect to emissions than was the case in  
 17 November, 2004 when you wrote this letter to  
 18 the PUB?  
 19 A. I'm not sure it was more stringent. I guess  
 20 the modelling has given us some--the improved  
 21 modelling and improved data has eliminated  
 22 some questions that we had a chance to be  
 23 compliant. We don't think we do. That based  
 24 on the modelling there now and the most recent  
 25 information, the CEM data, the meteorological

Page 70

1 plan was to go from 2.2 to 2, but that got  
 2 superseded by the regulation, the government  
 3 evoked that, so year one was taken care of, if  
 4 you will. So, you know, but we had been  
 5 studying the moving to a lower sulphur fuel to  
 6 alleviate these concerns and that was why that  
 7 was, just a heads up, if you will. We were  
 8 looking.  
 9 Q. Hasn't Hydro's compliance picture improved  
 10 since this letter was issued in November,  
 11 2004?  
 12 A. It has a bit, yes, in the modelling. The  
 13 modelling does indicate less areas, but we're  
 14 still non-compliant.  
 15 Q. I understand. But, having improved, why isn't  
 16 the staged reduction in sulphur fuel still  
 17 being considered, as was being considered at  
 18 this time as indicated by this letter, as an  
 19 option?  
 20 A. One of the factors was the differential price.  
 21 Back in 2003, the first time we looked at it,  
 22 there was about a \$20 million price tag to  
 23 move to one percent sulphur fuel and it's now  
 24 down to a much lesser amount. That was a  
 25 consideration. And also I think that the

Page 72

1 data more suitable to Holyrood that we are  
 2 still non-compliant. So, we've accepted a bit  
 3 more that we are non-compliant. But, we  
 4 haven't gone to .6, we have only taken a 70  
 5 percent step to that.  
 6 Q. If we could turn to page 3 of 7 of this letter  
 7 November 2004 to the Board? And one of the  
 8 steps that you outline to the Board is at the  
 9 top of page 3 of 7 that you are taking in  
 10 terms of addressing environmental issues is  
 11 expanding your monitoring capabilities to  
 12 provide real data with respect to determining  
 13 actual ground level concentration for various  
 14 substances and to determine the level of  
 15 compliance to regulatory limits. Do you still  
 16 believe that this is the way Hydro should be  
 17 going to demonstrate compliance or to assist  
 18 in demonstrating compliance to establish its  
 19 monitoring capabilities, expand them if  
 20 necessary?  
 21 A. Well, we have done that, we've expanded them,  
 22 we've improved the instruments gone down to PM  
 23 2.5 as opposed to just total suspended  
 24 particulates which is the breathable one which  
 25 people are very concerned about and which the

Page 73

1 regulations are concerned about. And you  
 2 know, the PM 2.5, I guess we've been tagged as  
 3 being the fifth largest polluter in Canada for  
 4 that, and we certainly don't need to be there.  
 5 Q. If you were just going to rely on modelling  
 6 results, though, why do you need to expand  
 7 your monitoring stations?  
 8 A. We were trying to validate the model, we were  
 9 trying to validate the overall modelling in  
 10 the sense of having better data to go in  
 11 there. Certainly measuring the actuals on the  
 12 ground whether we are really compliant was an  
 13 argument with the department and we had been,  
 14 you know, three or four times been non-  
 15 compliant. But -  
 16 Q. In December of 2005?  
 17 A. Yes.  
 18 Q. Has the monitoring validated the modelling,  
 19 even the more accurate 2004 modelling that was  
 20 done by SENES Consultant?  
 21 A. That I'm really not competent to say whether  
 22 it has or hasn't. I mean, I can only go by  
 23 the comments in the SENES report up front that  
 24 says they were. They were, I forget the  
 25 words, but they were not condemning of any of

Page 75

1 plant. But, the hydraulic conditions, the  
 2 availability of other hydro generation affect  
 3 that. We minimize the use of that plant in  
 4 sofar as possible. But, at any point in time  
 5 if we were to lose, you know, number 7 at Bay  
 6 d'Espoir or Upper Salmon, another major Hydro  
 7 plant, we may be called upon to run it on the  
 8 pins for an extended period, in which case I  
 9 would suggest that the modelling would have a  
 10 different output, the modelling would look  
 11 different, more non-compliance.  
 12 Q. If we could turn, Mr. Haynes, to page 5, still  
 13 in this November, 2004 letter to the Board,  
 14 under the heading "Federal, Provincial  
 15 Regulatory Environment"?  
 16 A. Yes.  
 17 Q. And I'd also like to refer at the same time to  
 18 PUB-14, the response to that request for  
 19 information. In November, 2004 were you  
 20 indicating to the Board that you would be  
 21 looking to reduce allowable levels to one  
 22 percent if the Federal Government established  
 23 a new regulatory limit for sulphur content?  
 24 A. That was part of the framework, yes. They had  
 25 initiated this paper in, I believe, 2003

Page 74

1 that, they were complimentary, actually.  
 2 Q. But, in terms -  
 3 A. But, there were differences, I admit.  
 4 Q. Do you accept that the modelling results are  
 5 more accurate than the observation results for  
 6 the sites at Indian Pond and Lawrence Pond and  
 7 Indian Pond Drive?  
 8 A. No, I don't accept that. I mean, the actual  
 9 in situ measurement, as long as the  
 10 instruments are calibrated and appropriate, is  
 11 the acid test, but I'd say that one metre  
 12 above ground level, which is where the  
 13 regulation is, those are the actual numbers.  
 14 Q. So, to the extent that the modelling is over  
 15 predicting at those sites, do you accept that  
 16 the modelling has been validated by the  
 17 observations?  
 18 A. Well, the modelling has been, in some areas, I  
 19 guess the modelling is close, in other areas  
 20 it's off a bit. I think the other thing not  
 21 to--the other thing to keep in mind is that if  
 22 we were to run that plant, you know, three  
 23 units, 24 hours a day at full load, I think  
 24 we'd have a different picture. But, that is  
 25 the way we need the flexibility to run that

Page 76

1 saying that, you know, I forget what they call  
 2 it, but it was out there for comment by the  
 3 industry, that they were looking at setting a  
 4 Canadian standard of moving to one percent by  
 5 2009, I believe. And, you know, we did look  
 6 at--that was an input, that was  
 7 consideration.  
 8 Q. In fact, looking at page 5 and looking at the  
 9 first paragraph under the heading, "Federal,  
 10 Provincial Regulatory Environment", in  
 11 November 2004 what was stated was, "Given the  
 12 uncertainty surrounding the reduction in  
 13 sulphur content and the timing, Hydro does not  
 14 currently propose taking any further action  
 15 other than what is required in 2005 to meet  
 16 the current provincial regulatory limits for  
 17 sulphur content." Have the current provincial  
 18 regulatory limits for sulphur content changed  
 19 since November, 2004?  
 20 A. No. No, they haven't, not for the what we can  
 21 purchase.  
 22 Q. And is it your understanding that the Federal  
 23 Government has taken any further steps towards  
 24 a one percent regulatory standard for sulphur?  
 25 A. No. I had a look at that again the weekend

Page 77

1 and the only things that they seem to have  
 2 pursued thus far has been diesel fuel sulphur.  
 3 They seem to have left the heavy fuel oil  
 4 alone to this point in time.  
 5 Q. And, in fact, the response to PUB-14 would  
 6 indicate that the Federal Government hasn't  
 7 taken any action since 2003 to push forward  
 8 that file?  
 9 A. Not as yet, no, only diesel, it appears they  
 10 pushed diesel.  
 11 Q. What has happened since November, 2004 when  
 12 you appeared to be fairly confident that with  
 13 your monitoring that you were putting in place  
 14 that at most you might have to look at doing  
 15 stage reduction over time, what has happened  
 16 in just a little over a year to cause that  
 17 plan, as outlined to the Board, to change?  
 18 A. One of the things that we did with the  
 19 additional monitoring stations, additional  
 20 data, credible data is put the CALPUFF model,  
 21 it's validated some of this. We had our  
 22 doubts based, I guess, on the modelling that,  
 23 you know, it certainly wasn't as bad as the  
 24 initial study showed. It's improved, but it's  
 25 not perfect. We're still outside the

Page 79

1 A. I believe they are one hour.  
 2 Q. Mr. Haynes, if we could turn to the SGE Acres  
 3 Report dated February, 2004? It's attached to  
 4 the application.  
 5 A. I'm sorry, I have it now. My apologies.  
 6 Q. And I want to turn to the introduction  
 7 section. You've already spoken to this in  
 8 some of the questions that Mr. Young answered  
 9 at the outset of today's hearing. But, he  
 10 didn't put to you, I don't believe anyway, the  
 11 particular provisions or particular statements  
 12 that were made in this report. And in the  
 13 introduction section, if you look at the  
 14 bottom of the first page, it talks about SGE  
 15 Acres having looked at two basic approaches to  
 16 determine the cost effectiveness and impact of  
 17 the most likely emission control options. And  
 18 now on the next page they identify the two  
 19 basic approaches they took. One of them was  
 20 continuation of the current fuel type and then  
 21 various types of engineering solutions, if I  
 22 can call them that, to reduce emissions. And  
 23 then option B or approach B was switch to low  
 24 sulphur fuels. And in the introduction they  
 25 talk about switching to low sulphur fuel would

Page 78

1 regulations. But, it has -  
 2 Q. Based on the modelling?  
 3 A. Based on the modelling, but it has improved.  
 4 But, we do have some events where we are--we  
 5 have exceeded. And the modelling, as I  
 6 mentioned a little while ago, you know, we've  
 7 focused here this morning along the one-hour  
 8 rating. If you go back to the ambient air  
 9 quality regulations or guidelines, whatever,  
 10 they also have a three-hour thing. And for  
 11 the three-hour number, the model indicates  
 12 that we'd be about 70 hours a year non-  
 13 compliant based on that, so -  
 14 Q. Has there been any observed observation of  
 15 non-compliance with the three hour?  
 16 A. Yes. I'm sorry. I can't answer that. I  
 17 don't know offhand.  
 18 Q. Well, the only ones that we know about,  
 19 correct me if I'm wrong, in terms of observed  
 20 non-compliance events were what you've told us  
 21 this morning?  
 22 A. Yes, at a one hour.  
 23 Q. The December, 2005?  
 24 A. That's correct.  
 25 Q. And they were one hour?

Page 80

1 permit SO2 levels to be reduced to acceptable  
 2 levels. "This may be achieved by a less  
 3 costly partial switch in which low sulphur  
 4 fuel would be used during heavy load periods  
 5 and high sulphur fuel during light periods."  
 6 There's no treatment of a switch to partial, a  
 7 partial switch to low sulphur fuel in the  
 8 report itself. This statement sort of stands  
 9 in isolation in the introduction, but it  
 10 doesn't appear, to my reading of it, and this  
 11 question was put to Mr. Ricketts and he wasn't  
 12 able to explain why there wasn't. Now, you've  
 13 given to the Board today in your evidence some  
 14 reasons why you believe a partial switch  
 15 wouldn't be practical. Why isn't that  
 16 treatment, do you know why it isn't in the SGE  
 17 Acres Report?  
 18 A. It wasn't pursued as being a viable option  
 19 from our perspective in the sense that the  
 20 infrastructure doesn't support it. You'd be  
 21 constantly re-tuning, re-tweaking boilers and  
 22 so on. It was--I don't recall any heavy  
 23 discussion of whether we should pursue all  
 24 that. The other one is just an administrative  
 25 one that basically our peak times are

Page 81

1 basically, you know, March to December when  
 2 most of our fuel is burned. There will be  
 3 small benefits by actually doing that on the  
 4 shoulder seasons. There would be some, but it  
 5 would be pretty low.  
 6 Q. Oh, I understand that that's Hydro's view. I  
 7 guess what I'm asking, though, is Hydro having  
 8 retained this consultant to advise you on this  
 9 issue appeared to be expressing a different  
 10 view in this introduction. Do you know why  
 11 this issue wasn't pursued by SGE Acres in this  
 12 report, why there's no treatment that follows  
 13 up on that introductory statement in the  
 14 report?  
 15 (10:45 a.m.)  
 16 A. I don't recall offhand why it wasn't pursued  
 17 by us or by Acres from that particular point  
 18 of view. The mechanics of doing it, the  
 19 infrastructure is not there, for one, the  
 20 complexity of changing, re-tweaking, re-tuning  
 21 boilers, but in hindsight a discussion would  
 22 have been helpful.  
 23 Q. Well, it certainly would have saved you having  
 24 to tell us this morning the reasons why it  
 25 would be an issue.

Page 83

1 Q. If there had been a significant loss of  
 2 efficiency or some upset in the generating  
 3 station operation as a result of that switch,  
 4 would you have been made aware of that?  
 5 A. I probably would have, but there was lots of  
 6 other things on the go at the plant at the  
 7 particular time. You know, we're not running,  
 8 we weren't running very efficiently anyway  
 9 because we had a lot of water on the go at a  
 10 certain period of time, so, you know, I would  
 11 not have seen a drop in the kilowatt hours per  
 12 barrel being, you know, pegged on this  
 13 particular event there, there were so many  
 14 other factors. Particularly, we were running  
 15 at low loads for extended periods and the  
 16 efficiency was down below 600 most of the  
 17 time, anyway, kilowatt hours per barrel.  
 18 Q. PUB-1, I believe, indicates that the first  
 19 contract to purchase one percent was  
 20 negotiated in January of this year?  
 21 A. It was ordered in by January, yes.  
 22 Q. When was the decision taken by Hydro to go to  
 23 PUB--to one percent?  
 24 A. It was late, late in 2005 we actually made  
 25 that decision. It was approved by the Board

Page 82

1 A. I agree.  
 2 Q. Or a problem. What happened earlier this year  
 3 when you switched from two percent to one  
 4 percent, was there any disruption in  
 5 production at Holyrood?  
 6 A. No, I don't think there was any disruption.  
 7 We actually switched over, I believe, in March  
 8 sometime and they went back and they re-  
 9 tweaked, re-tuned the boilers. And the  
 10 biggest significant thing was the market  
 11 reduction, obviously, in the SO2 and I believe  
 12 the particulate, as well.  
 13 Q. So, was there any loss in efficiency at  
 14 Holyrood as a result of that switch-over from  
 15 two percent to one percent earlier this year?  
 16 A. I suspect there would have been in theory but  
 17 that would only be speculation on my part.  
 18 They would have to go into the details of the,  
 19 how long it took them to re-tune and to -  
 20 Q. You're not actually aware of there having been  
 21 any loss of efficiency?  
 22 A. Not of significance because it was done and it  
 23 was redone and it was switched, they were re-  
 24 tuned and the, you know, the adjustments made  
 25 in the settings, if you will.

Page 84

1 of Directors to do that.  
 2 Q. At that time had there been a decision taken  
 3 to apply to the PUB, as well, for approval?  
 4 A. Certainly that was a part of it, we were going  
 5 to apply to the Public Utilities Board for  
 6 approval. But, we did make a decision to move  
 7 ahead.  
 8 Q. Were you aware at that time of how long it  
 9 might take before you could actually take  
 10 delivery of one percent fuel?  
 11 A. I we had several discussion, not me,  
 12 personally. There were discussions with the  
 13 supplier, our contractor, Westport, on when we  
 14 could get one percent fuel and when we did  
 15 decide to go one percent fuel, they had one  
 16 available and actually delivered it early.  
 17 Q. When did the process start at Holyrood to  
 18 prepare for switching over from one percent--  
 19 from two percent, I'm sorry, to one percent?  
 20 A. I think the switch was in March, I believe,  
 21 when we actually consumed the remaining two  
 22 percent and then we switched over to one  
 23 percent. When we took delivery of the one  
 24 percent, we put it in basically an empty or a  
 25 near empty tank and then when the, you know,

Page 85

1 we would just stage it in so we could burn off  
 2 or utilize all the two percent so we could  
 3 have a clean switch to one percent and then  
 4 re-tune everything and go forward from there.  
 5 Q. So, I think it goes without saying, but I'll  
 6 say it anyway, the four tanks you have out  
 7 there, the storage tanks, there would have  
 8 been a period of time when some of them had  
 9 two percent -  
 10 A. Yes.  
 11 Q. -sulphur fuel and some of them would have had  
 12 one percent?  
 13 A. Yes.  
 14 Q. You wouldn't have mixing within a tank, I  
 15 presume that that's--or would you?  
 16 A. There would always be a little bit of residual  
 17 fuel in the bottom of the tank when you take  
 18 delivery, you know, two or three feet or one  
 19 foot or whatever the case was, but basically  
 20 the pipe, the tank is filled and it's isolated  
 21 and the tanks are not all connected all the  
 22 one time. There's only one tank supplying  
 23 fuel at a time, you know. And we would just  
 24 walk down through the tank farm, if you will,  
 25 to successively use the two percent, take

Page 87

1 have through that day tank, you know, is it an  
 2 hour or two, it's refilling at that sort of  
 3 frequency? You don't have any idea?  
 4 A. I don't remember. I used to know when I  
 5 worked out there, but I really don't.  
 6 Q. So, we shouldn't take day tank too literally,  
 7 then?  
 8 A. No, not too literally. But, it might be a day  
 9 to allow at least a shift, I would suspect, so  
 10 they can do work up in the switch-yard and not  
 11 be hampered by having to shut down the plant  
 12 because we can't get fuel to the thing if we  
 13 have to do emergency work in the switch-yard,  
 14 which occasionally happens.  
 15 MR. YOUNG:  
 16 Q. Mr. Coxworthy, if this is important, we can  
 17 probably get an undertaking to provide the  
 18 information.  
 19 MR. COXWORTHY:  
 20 Q. I think we'll see where this goes. You  
 21 mentioned in terms of the impracticalities or  
 22 difficulty in having, switching back and forth  
 23 from one percent to two percent that the  
 24 infrastructure there, at least as it stands  
 25 now, wouldn't allow for it or at least

Page 86

1 delivery of one percent when the two percent  
 2 was all gone or 98 percent of it or whatever  
 3 the number is, then we would switch to one  
 4 percent.  
 5 Q. And I think you've mentioned, and I've  
 6 certainly seen it in the evidence, there's one  
 7 day tank in addition to those four storage  
 8 tanks, I'll call them?  
 9 A. That's correct.  
 10 Q. And they would draw, that day tank would draw  
 11 down on one of the storage tanks?  
 12 A. Typically, yes, unless you were switching over  
 13 because the other tank was empty or whatever.  
 14 Q. And when it's called a day tank, does it  
 15 actually hold the fuel for a typical day, if  
 16 one cal talk about a typical day or is it not  
 17 -  
 18 A. I have no idea of the volume. I'm not sure.  
 19 Q. You don't know what kind of through-put -  
 20 A. It allows time for switching and doing things  
 21 up in the switch-yard if you have a problem  
 22 and so on, but whether it can actually do a  
 23 full day's production at I think 19,000  
 24 barrels, I'm not sure.  
 25 Q. I just wonder what kind of through-put you

Page 88

1 wouldn't allow for it without loss of  
 2 efficiency. There wasn't any loss of  
 3 efficiency that you are aware of in the switch  
 4 in the switch from one percent to two percent  
 5 earlier this year. So, what types of loss of  
 6 efficiency are you concerned about if, say, in  
 7 September one was to switch back from one  
 8 percent to two percent?  
 9 A. I wasn't made aware of any loss in efficiency  
 10 in the switch this year. There would have  
 11 been a theoretical loss. I don't know if  
 12 anybody actually calculated how long or how  
 13 long it took to re-tune and readjust the  
 14 settings. But, typically when you readjust  
 15 the settings on the boiler, you're running up  
 16 and down through, say, 50 to 150 megawatts  
 17 just to make sure you can fire at both  
 18 extremes, if you will, and still meet, and  
 19 still be efficient and meet, you know, the  
 20 boiler demands or the system demands.  
 21 Q. Is this theoretical loss of efficiency the  
 22 only impediment to at least on a seasonal  
 23 basis switching back and forth from one  
 24 sulphur mix to another?  
 25 A. That and probably generally fuel management,

Page 89

1 just trying to make sure that you have one  
 2 tank or two tanks or some, what is the right  
 3 split between one percent and two percent to  
 4 have up there, if that was a solution. But,  
 5 the other thing to keep in mind is that in any  
 6 particular point in time if that plant is--if  
 7 all units are available at Holyrood, whether  
 8 it's June or January 1st, that if we have  
 9 other disruptions on the system, they can be  
 10 called upon to generate at full load. That  
 11 is, if the units are available, then basically  
 12 the energy control centre can call upon that  
 13 plant to fire up the works and run full load.  
 14 If, for instance, we lose the transmission to  
 15 the east coast or we lose major hydraulic  
 16 generation, you know, the energy control  
 17 centre is trying to manage the whole and the  
 18 more restrictions, the more difficult it is.  
 19 Q. If we could turn to PUB-8, which is the April  
 20 12th, 2004, I call it internal Hydro report,  
 21 but the internal Hydro report on air emission  
 22 control assessment? And I want to turn to  
 23 page 16. And at page 16 if you look at the, I  
 24 guess, the third paragraph, the one that  
 25 starts, "The Hydro working group considered

Page 91

1 than the fact that based on the modelling and  
 2 so on that we won't be compliant until we had-  
 3 -well, the modelling says we need to go to .6.  
 4 We think we have a chance of doing it at one  
 5 percent, so that's -  
 6 Q. Didn't the modelling show that you might have  
 7 needed to go to .6 or for that matter even  
 8 more because, of course, the modelling was  
 9 showing worst results before 2004 and previous  
 10 years?  
 11 A. I don't recall the--I don't recall the numbers  
 12 at that particular time.  
 13 Q. Doesn't it stand to reason that if improved  
 14 modelling suggests that you need to go to .6,  
 15 improved modelling results, that if the  
 16 modelling results were worse in previous  
 17 years, certainly it must have called for, as  
 18 you're explaining it, as much of a reduction,  
 19 even in those previous years?  
 20 A. It may have, it may have been more onerous  
 21 than .6, I don't know.  
 22 Q. That's right, or more onerous, absolutely,  
 23 that's my point. So, given that, why then in  
 24 April of 2004 was it thought to be sufficient  
 25 to go by way of a staged reduction regime as

Page 90

1 current legislation", etcetera. In that  
 2 paragraph there's reference to the SGE Acres  
 3 report. I was wondering, though, the report  
 4 that's dated, the date given for the report  
 5 there is December, 2003. The version of the  
 6 report we've seen is dated February, 2004.  
 7 Have you seen any earlier or other version of  
 8 the SGE Acres report? And I guess I'm  
 9 thinking about this issue of the partial  
 10 switch, whether there's any other version of  
 11 the report that may deal with that in some  
 12 more detail or any detail as compared to the  
 13 February, 2004?  
 14 A. I don't recall anything in the--I mean, I've  
 15 read the draft report earlier on, but I don't  
 16 recall any discussion on the partial switch.  
 17 Q. If we could turn to page 24, then, in the same  
 18 internal report of Hydro? Quite apart from  
 19 your concerns about it, whether it would meet  
 20 your regulatory requirements or not, is there  
 21 any practical impediment to Hydro proceeding  
 22 by way of a staged reduction in the sulphur  
 23 content of its fuel as identified as the  
 24 recommendation at page 24 of this report?  
 25 A. No, there's no major practical thing other

Page 92

1 shown on page 24 of this internal Hydro  
 2 report?  
 3 A. I can't be specific but my recollection is  
 4 that has a lot to do with the Compliance  
 5 Agreement, the interpretation document that  
 6 the Provincial Government had there, that  
 7 there was--but, I can't be specific as to what  
 8 changed.  
 9 Q. Okay. But, let's be clear, there's no  
 10 compliance agreement?  
 11 A. No, I'm sorry, the interpretation document.  
 12 The determination and compliance with the  
 13 Guidance Document.  
 14 Q. The Guidance Document, I think--okay. Where  
 15 in the Guidance Document, which has been in  
 16 place for many years, it's been revised over  
 17 time, as you pointed out, what in the Guidance  
 18 Document has placed a more stringent  
 19 requirement on Hydro that makes it  
 20 inappropriate for you to take the staged  
 21 approach to sulphur reduction?  
 22 A. It's my recollection, and I would try to  
 23 confirm that through lunch or whatever, that  
 24 this particular document was not in full force  
 25 or we were not aware that it was the defacto

Page 93

1 document that the government were going to use  
 2 to regulate it. My understanding forward was  
 3 that it was a document that was there for  
 4 guidance, but it never had the same force.  
 5 Now, that's something that I'll have to check.  
 6 Q. I understand that. And assuming that's to be  
 7 the case, what in that document, then, has  
 8 imposed more stringent requirements on Hydro  
 9 than was the case in April, 2004? I'm not  
 10 questioning your assumption that it may not  
 11 have been in full effect earlier in 2004, but  
 12 what--now that it is in full effect, what in  
 13 that document has imposed a more stringent  
 14 requirement that doesn't make it possible for  
 15 you to proceed by way of staged reduction of  
 16 sulphur fuel?  
 17 A. I'm not sure offhand. I can't point to the  
 18 specific thing that has changed or that would  
 19 help me help you here. Without going down  
 20 through and reading the previous documents I  
 21 can't answer your question. I'm sorry.  
 22 Q. If we could turn, moving on from there, to IC-  
 23 4, RFI IC-4? And at IC-4, Mr. Haynes, if you  
 24 have it there before you, that's a calculation  
 25 of the estimated rate increases for Hydro's

Page 95

1 A. No.  
 2 Q. No. So, we do have very recently in time,  
 3 within the last two years, a fairly dramatic  
 4 reduction in the incremental cost?  
 5 A. The forecasters that we used, P.I.R.A.,  
 6 certainly forecasted that down. In December  
 7 the price was very high basically in relation  
 8 to Hurricane Katrina, we're told and  
 9 understand. We were also told that they would  
 10 drop significantly and they have.  
 11 Q. But, this is a snapshot in time and for all we  
 12 know six months from now the spread between  
 13 two percent and one percent may go up again?  
 14 A. It's a forecast.  
 15 Q. And certainly over longer periods of time we  
 16 just can't say? There's no law that says it's  
 17 going to continue to reduce or a principle of  
 18 the market?  
 19 A. No. That's correct.  
 20 Q. So, we know for now it appears that the  
 21 picture has improved, but that won't  
 22 necessarily stay the case. However, even with  
 23 that, if one looks at the difference between  
 24 one percent in incremental costs and what it  
 25 would be for your customers at 1.5 is a very

Page 94

1 customers which would arise from going to one  
 2 percent sulphur. Also, the other options are  
 3 outlined there, as well, 1.75, 1.5, 1.25, all  
 4 the way down to .5 percent. These  
 5 calculations, do you know if these take into  
 6 account the fact that Stephenville mill is no  
 7 longer a part of the IC load, the Industrial  
 8 Customers' load?  
 9 (11:00 a.m.)  
 10 A. These were responses to questions, they should  
 11 include Stephenville impact, yes.  
 12 Q. Do you know whether they do or not, though?  
 13 A. Not specifically, but I can get that answer.  
 14 Q. Could we, yes. Thank you. In response to  
 15 some earlier questioning you've indicated that  
 16 one of the reasons why Hydro felt it  
 17 appropriate to go to one percent now as  
 18 opposed to how it felt in November, 2004, for  
 19 instance, is that the cost, the incremental  
 20 cost of going from two percent to one percent  
 21 had reduced in the intervening years?  
 22 A. Yes.  
 23 Q. There's no guarantee, of course, that that'll  
 24 continue to be the case in future years, is  
 25 it?

Page 96

1 significant difference in that cost. Did you  
 2 take that into account when deciding whether  
 3 to go to one percent as opposed to 1.5  
 4 percent, the difference in the additional cost  
 5 to your customers of one option as opposed to  
 6 the other?  
 7 A. We looked primarily at the two percent versus  
 8 one percent between what we're doing now and  
 9 what we expected to happen in 2003, and that  
 10 was primary--we didn't look at any great  
 11 scrutiny, if you will, of the staging down now  
 12 because the differential was lower and we  
 13 thought that was a reasonable impact for what  
 14 we were going to achieve, which basically  
 15 bring us largely, we certainly hope, into  
 16 compliance.  
 17 Q. But, if your responsibility is to look, at  
 18 least, at the least cost alternatives for your  
 19 customers that would bring you within  
 20 regulatory compliance, why wouldn't you look  
 21 at one of these other midpoints between one  
 22 percent and two percent as a least cost or a  
 23 lesser cost alternative?  
 24 A. Because the modelling still indicates that at  
 25 one percent we would not be 110 percent or 100

Page 97

1 percent compliant.  
 2 Q. Modelling based on one year's accurate  
 3 modelling?  
 4 A. One year's accurate modelling.  
 5 Q. Or more accurate modelling?  
 6 A. Yeah, that's correct. It still doesn't meet  
 7 the regulations, so.  
 8 Q. But, you don't know that one percent will  
 9 necessarily bring you there?  
 10 A. No, we don't, but we certainly think that  
 11 we're making a 70 percent improvement and we  
 12 have a good chance of actually getting there.  
 13 Hopefully, we will. Because the discussion  
 14 then will be either capital or even going to a  
 15 lower percent sulphur fuel.  
 16 Q. Or perhaps looking at whether your observation  
 17 stations readings can be prorated against the  
 18 modelling?  
 19 A. I think they -  
 20 Q. Have you ruled out that as an option?  
 21 A. But, I think they do that in the CALPUFF  
 22 modelling anyway, I believe that they actually  
 23 do that.  
 24 Q. The model itself produces a number based on  
 25 the modelling results only?

Page 99

1 MS. NEWMAN:  
 2 Q. No, nothing.  
 3 CHAIRMAN:  
 4 Q. Are you ready Mr. Haynes? When you're ready.  
 5 HUTCHINGS, Q.C.:  
 6 Q. Yes, thank you, Mr. Chairman, good morning  
 7 again Mr. Haynes. Mr. Young teased us a  
 8 little bit with your new title when you took  
 9 the stand. Can you perhaps tell us how that  
 10 has changed your duties and specifically  
 11 whether or not matters affecting rates now  
 12 come under your bailiwick?  
 13 A. Matters affecting rates? Part of it,  
 14 obviously, basically regulated operations look  
 15 after a--a simple way to describe it is pretty  
 16 well everybody outside of St. John's is in  
 17 regulated operations. The wires,  
 18 distribution, isolated systems and the  
 19 generating plant. The, what has been taken  
 20 out of my old job, which was vice-president of  
 21 production, is the engineering department.  
 22 That's moved over to an engineering VP who  
 23 looks after all engineering for Hydro, as well  
 24 as the IS&T Group have been taken out. So  
 25 regulated operations, the control centre, you

Page 98

1 A. Yes.  
 2 Q. I think it's up to government or Hydro then to  
 3 do the comparison, as you're suggesting, with  
 4 the observations? SENES Consultants certainly  
 5 have done that in their report?  
 6 A. Yeah, okay.  
 7 Q. Mr. Haynes, I have no further questions for  
 8 you, but I understand that Mr. Hutchings, just  
 9 at a discrete point, Mr. Chair, wanted to ask,  
 10 I believe, very few questions before the  
 11 Industrial Customers conclude their  
 12 questioning.  
 13 CHAIRMAN:  
 14 Q. Thank you, Mr. Coxworthy. Could we break now,  
 15 Mr. Hutchings, and resume your questioning  
 16 after, is that okay?  
 17 HUTCHINGS, Q.C.:  
 18 Q. That would be fine. Thank you, Mr. Chair.  
 19 CHAIRMAN:  
 20 Q. Thank you. We will resume at 11:30.  
 21 (Recess 11:05 a.m.)  
 22 (Reconvened 11:34 a.m.)  
 23 CHAIRMAN:  
 24 Q. Before we get started, Ms. Newman, is there  
 25 anything preliminary that you wish to raise?

Page 100

1 know, system dispatch, that's basically--and  
 2 customer service for distribution and all the  
 3 field staff.  
 4 Q. So the rate function hasn't been added to your  
 5 -  
 6 A. No, the rate's department still report,  
 7 thankfully, to the vice-president of finance.  
 8 Q. So you will be delighted to respond to my  
 9 questions concerning the RST. What we're  
 10 talking about here, Mr. Haynes, in terms of  
 11 the proposed change is really an increase in a  
 12 specific operating expense of Hydro, correct?  
 13 A. Yes.  
 14 Q. You were making a conscious decision to use a  
 15 better quality of fuel, if we can call it  
 16 that, not unlike a decision to use a better  
 17 quality of paper in your photocopier. It's a  
 18 business decision you're taking for various  
 19 reasons.  
 20 A. Yeah, for various reasons being the important  
 21 point.  
 22 Q. And I don't want--Mr. Coxworthy has talked  
 23 about the reasons with you, I'm not going to  
 24 recover that ground. My question basically  
 25 relates to the proper regulatory treatment of

Page 101

1 that expense and why this has not been treated  
 2 like a change in any other expense and become  
 3 part of a general rate hearing, as opposed to  
 4 the suggestion that it should flow through the  
 5 RSP?  
 6 A. It's specifically related to the price of oil,  
 7 you know, when we moved from 2.2 to 2, the  
 8 same thing happened.  
 9 Q. Yes.  
 10 A. And that was a specific initiative of  
 11 government actually to mandate the actual  
 12 percentage content, and the other side of the  
 13 coin is the regulatory side of what our  
 14 emission levels are, what our compliances with  
 15 the air ambient, with the air quality  
 16 standards. The 2.2 to 2 percent, obviously  
 17 affected ambient air quality, but it also  
 18 affected the total amount of sulphur dioxide  
 19 discharge into the environment, which the  
 20 government has their own cap on, which is a  
 21 separate regulation, if you will or a separate  
 22 requirement.  
 23 Q. And while the effect of going from 2.2 to 2  
 24 percent wasn't an insignificant change cost  
 25 wise, there is a significant effect from going

Page 103

1 last really extended discussion of the RSP  
 2 that we have from the Board. It was mentioned  
 3 in the last General Rate hearing, but most of  
 4 the issues had been resolved by agreement, so  
 5 there's only a page or two there. I provided  
 6 copies this morning to Ms. Blundon for  
 7 distribution.  
 8 MS. NEWMAN:  
 9 Q. Yes, they've been circulated.  
 10 HUTCHINGS, Q.C.:  
 11 Q. Everybody has them?  
 12 CHAIRMAN:  
 13 Q. Mine disappeared somewhere, I don't know  
 14 where, but I have another one now. Thanks.  
 15 HUTCHINGS, Q.C.:  
 16 Q. All right. The extract starts at page 79 and  
 17 discusses the introduction, the history  
 18 basically of the RSP and the current status  
 19 proposals and the issues raised at the  
 20 hearing. What I would like to refer your  
 21 attention to is paragraph--is page 83, the  
 22 second last page of the extract that I  
 23 provided. And directing your attention to  
 24 paragraph headed 5, the continuation of the  
 25 RSP. At the bottom of that page, the Board

Page 102

1 to, from 2 percent to 1 percent annually,  
 2 correct?  
 3 A. It's measurable, obviously 2 percent or 1 to 2  
 4 percent, it's noteworthy.  
 5 Q. Yeah, and at the time the application was  
 6 filed, they were looking at something close to  
 7 8 million dollars annually and now with the  
 8 changes that have occurred, it's something  
 9 between 6.5 and 7, is that correct?  
 10 A. I believe that's the number, but -  
 11 Q. Okay, so we're talking a significant amount of  
 12 money annually, as a result of this impact.  
 13 Would you, the Rate Stabilization Plan, as  
 14 described in Hydro's rates, is said to be  
 15 intended to smooth rate impacts for variations  
 16 between actual results and test of your cost  
 17 of service estimates, that's a correct  
 18 statement, is it?  
 19 A. Yes, and in the annual adjustment looks after  
 20 the change and the rider looks after the  
 21 actual change in the price of fuel.  
 22 Q. Yes.  
 23 A. Besides the module.  
 24 Q. Yeah. I had distributed this morning an  
 25 extract from P.U. 7, 2002, 2003, which is the

Page 104

1 says, "the Board agrees with NP and NLH that  
 2 RSP provides rate stability to customers and  
 3 also provides a mechanism to eliminate  
 4 volatility in NLH's revenue requirement due to  
 5 events beyond NLH's control. This was the  
 6 original intent of the RSP and remains so  
 7 today." Now, the change that we're talking  
 8 about here in the price of fuel isn't one  
 9 that's beyond Hydro's control, is it, it is  
 10 one that you are choosing to undertake for  
 11 specific reasons?  
 12 A. We're choosing, if you will, to meet the  
 13 regulations of the province, from the point of  
 14 view of pollution abatement and pollution.  
 15 Q. Yes, and you had a number of options.  
 16 A. A number of options, but our option primarily  
 17 is that we obey the law, that we actually are  
 18 compliant with the legislation.  
 19 Q. No, I quite understand that, in the same way  
 20 as you would have to, you know, upgrade your  
 21 vehicles if the emission standards for  
 22 vehicles changed.  
 23 A. Yes.  
 24 Q. Yes, okay. So in terms of the factors that  
 25 the RSP is intended to direct itself to, you

Page 105

1 know, general oil prices and the volatility  
 2 and the matters beyond your control, this  
 3 application isn't addressing that type of a  
 4 change, is it?  
 5 A. It's only addressing the price of fuel because  
 6 there's a different standard or different  
 7 specification applied.  
 8 Q. Yes.  
 9 A. But it is a fuel price.  
 10 Q. It is a fuel price and you have chosen to go  
 11 to a different grade of fuel and that is  
 12 what's changing the price?  
 13 A. Yes.  
 14 Q. And it is not a question of world oil prices  
 15 changing generally or anything of that nature?  
 16 A. No, it's basically a change specification to  
 17 meet the environmental requirements and the  
 18 price is just a fall out.  
 19 Q. Okay, all right, thank you, Mr. Haynes. Those  
 20 are all the questions I had, Mr. Chair.  
 21 CHAIRMAN:  
 22 Q. Thank you, Mr. Hutchings. Good morning Mr.  
 23 Johnson.  
 24 MR. JOHNSON:  
 25 Q. Good morning Mr. Chairman, Vice-Chair.

Page 107

1 polluter in the country of fine particulate.  
 2 Fine particulate is a health issue and, you  
 3 know, we all have an obligation to ensure the  
 4 health and welfare of our employees and the  
 5 public and we are definitely, you know, we are  
 6 not complying with the legislation, we've been  
 7 written up by a national, you know, people if  
 8 you will about our contribution to PM 2.5  
 9 pollution, we need to fix it. And the fact  
 10 that we're non-complaint, there's an added  
 11 avenue to do all of that. You know, there's  
 12 been a change in Hydro, we have a new  
 13 leadership group or management committee and a  
 14 new Board of Directors, largely, and we are  
 15 not complaint and we need to be making  
 16 significant inroads to get there, which this  
 17 is intended to do.  
 18 Q. And in terms of the Pre-filed Evidence, I  
 19 think Mr. Ricketts agreed that, when I put it  
 20 to him, that it would be a fair statement, say  
 21 on my behalf, to say that Hydro's application  
 22 is really directed and focused at meeting the  
 23 modelling, that that's the impetus.  
 24 A. Yes, and that's the regulatory environment  
 25 that the government has adopted, the modelling

Page 106

1 Obviously some of the ground has been tilled  
 2 this morning, Mr. Haynes. I recognize, as I'm  
 3 sure you do nowadays, that the heightened  
 4 attention being paid to environmental issues,  
 5 more generally the public's perception of  
 6 environmental issues and their importance and  
 7 that sort of thing. But would it be not fair  
 8 to say that regardless of that, that it is a  
 9 cold reality, I suppose, for this Board and  
 10 for the parties to such an application as  
 11 this, that a sanctioning of recovering extra  
 12 monies from consumers is not based on whether  
 13 something is more environmental friendly or  
 14 not, but it's necessary--the question is  
 15 whether or not it's necessary to comply with  
 16 the law of the land. Would me and you be on  
 17 the same wave length on that?  
 18 A. Hydro absolutely wants to comply with the law  
 19 of the land and obviously part of this  
 20 application is to do all of that. I mean,  
 21 there are other considerations, not--and being  
 22 a good neighbour is a small part of it. You  
 23 know, we are written up last year as being  
 24 the--and specifically the discussion was  
 25 around PM 2.5, we're the fifth largest

Page 108

1 is a primary measure of our compliance.  
 2 (11:45 a.m.)  
 3 Q. And I understand from the evidence that was  
 4 given by Mr. Ricketts that in the past when  
 5 other models may have been used, that we've  
 6 heard, and perhaps you will confirm, that the  
 7 predictions under those models were  
 8 significantly worse than the most current  
 9 modelling regime?  
 10 A. That's my correction, that we have been  
 11 getting better with better data.  
 12 Q. And can you speak to the magnitude of the  
 13 predicted exceedances under those previous  
 14 models?  
 15 A. Not the specific numbers, but in some of the  
 16 reports there are drawings there which  
 17 actually have a red isopleth around certain  
 18 areas, around the Holyrood Plant and they've  
 19 gotten smaller in some of the areas, but I  
 20 can't speak to the magnitude, I don't know  
 21 those numbers offhand.  
 22 Q. Hydro has been monitoring as opposed to  
 23 modelling for SO2 since 1992, 1993?  
 24 A. Yeah, '93 or '94 actually I believe was the  
 25 first one, but that time frame.

Page 109

1 Q. And we've already heard, with the exception of  
 2 the readings taken in December of 2005 from  
 3 one monitoring station, that there's never  
 4 been shown to be an exceedance, in terms of  
 5 the actual monitored results?  
 6 A. With December of 2005 exempted, yes, because  
 7 they did show.  
 8 Q. Being an exception, I understand that. And  
 9 when did the switch over take place from  
 10 burning 2.2 to 2 percent sulphur content fuel  
 11 happen?  
 12 A. From 2.2 to 2?  
 13 Q. Yes.  
 14 A. I believe it was the beginning of 2005 we  
 15 actually started burning 2 percent.  
 16 Q. The 2, okay. And how long had Hydro been  
 17 burning the 2.2 percent?  
 18 A. That goes back a number of years prior to  
 19 that, I'll say six to ten years. It's been  
 20 2.2 percent for quite awhile. I don't recall  
 21 the date, but it's been a number of years,  
 22 quite awhile.  
 23 Q. And were you burning, to your recollection at  
 24 Holyrood, anything in excess of 2.2 while  
 25 Hydro was carrying out its ambient monitoring

Page 111

1 previous equivalence of the SENES report in  
 2 previous years would actually set out a  
 3 comparison of predicted and monitored SO2  
 4 concentrations?  
 5 A. I'm not aware. The model is very different  
 6 than the previous model. This particular  
 7 CALPUFF model looks at the terrain, looks at  
 8 the wind water--I'm sorry, land water impacts  
 9 and so on, it's a different tool, supposed to  
 10 be much more appropriate to the physical  
 11 environment of Holyrood.  
 12 Q. Would it be possible to check to see in these  
 13 previous reports whether or not there was  
 14 reference to the comparison between predicted  
 15 and monitored concentrations and to advise us  
 16 subsequently of what the differences were?  
 17 A. I'm sure we can dig out the reports and review  
 18 that, yes.  
 19 Q. In light of these, you know, fairly  
 20 significant over predictions, has there been  
 21 any concrete steps taken by Hydro to get at  
 22 the underlying reason why these over  
 23 predictions are taking place, and one of the  
 24 things I have in mind, for instance, if this  
 25 model and certainly that appears to be

Page 110

1 program?  
 2 A. No, I think--I'm not a hundred percent sure,  
 3 but I believe we were burning 2.2 when we were  
 4 doing this ambient monitoring program.  
 5 Q. Okay, throughout that whole period. Mr.  
 6 Coxworthy referred you to a comparison table  
 7 at page 4-7 of the SENE's Consultant Limited  
 8 Report?  
 9 A. Yes.  
 10 Q. And these are obviously showing, I think you  
 11 would agree, some significant over  
 12 predictions, vis-a-vis the observed  
 13 monitoring, you would agree with that, I take  
 14 it?  
 15 A. Yes, they certainly indicate that.  
 16 Q. And was over prediction happening in respect  
 17 of previous reports that were the counterparts  
 18 to the most recent SENES Consultant's Limited  
 19 report in recent years?  
 20 A. I would expect they were, given the fact that  
 21 we had a wider area of non-compliance, but we  
 22 never had a lot of recorded fact to  
 23 substantiate that. That's speculation on my  
 24 part.  
 25 Q. And are you familiar with whether or not the

Page 112

1 absolutely correct, the model is being used in  
 2 other jurisdictions, et cetera, to find out  
 3 whether these other jurisdictions, they are  
 4 subjecting themselves to an over prediction,  
 5 vis-a-vis monitored results in the same  
 6 fashion that we're seeing.  
 7 A. I'm not aware that we had, that our  
 8 environment department has actually engaged  
 9 anybody in a discussion.  
 10 Q. Is it a concern of yours, in your capacity  
 11 with the company, that Hydro might want to be  
 12 cautious about spending an extra 6 million or  
 13 8 million dollars a year and goodness knows  
 14 what the incremental cost would be over the  
 15 coming periods, but about spending money in  
 16 that range of magnitude to comply with models  
 17 that could be subject to such over  
 18 predictions?  
 19 A. While the models can be subject to over  
 20 prediction, we do have recorded events. I  
 21 don't think we should discount that, I mean,  
 22 we have had recorded excursions beyond the  
 23 limits, you know, I think the fact that it  
 24 took from 2003 to 2006 for us to actually get  
 25 here before the Board and make this proposal

Page 113

1 implies that we didn't take this decision  
 2 lightly. There has been a change in the  
 3 management structure, there's been a change in  
 4 the Board of Directors and this has been a hot  
 5 topic in a sense of consumer complaints, in  
 6 the sense of discussions with the regulator,  
 7 the environmental regulator that we're not  
 8 fixing the issue and the decision is not taken  
 9 lightly to do all of this, but we strongly  
 10 believe, the company, the leadership group,  
 11 the Board of Directors, that we have to make  
 12 this move. We have to make this large strive  
 13 to be complaint and as I said two or three  
 14 times, we have not gone, taken the model and  
 15 said we have to go by--to purchase .6 percent  
 16 fuel, that would be a, you know, more than  
 17 doubling of what we're currently--the current  
 18 rate impact, if you look at the answers that  
 19 were provided in CA-1, I believe, with the  
 20 differential between 2.2 or 2 and 1 and the  
 21 differential between 1 and .5. So we have not  
 22 adopted and ran with the model results. We  
 23 have taken a, you know, a seventy percent  
 24 solution hoping that we can manage the rest,  
 25 but we are the fifth largest polluter of PM

Page 115

1 if we find ourselves, in the next few years,  
 2 being able to avail of natural gas, which may  
 3 be a possibility.  
 4 Q. I understand that. Mr. Haynes, with respect  
 5 to the other utilities that may be burning at  
 6 one percent or something lower than two  
 7 percent, do you know whether or not they have  
 8 an actual monitoring system in place and  
 9 whether their readings were indicating non-  
 10 compliance based on actual monitor?  
 11 A. I'm not aware of that detail, I know that one  
 12 specific one, I think is Courtney Bay or  
 13 Courtney something in New Brunswick, it's part  
 14 of their Certificate of Approval that they can  
 15 only burn one percent. They had two one  
 16 hundred megawatt units, one, I think has  
 17 capture technology or has been converted to  
 18 natural gas; the other one burns oil, but it  
 19 can only operate as a back-up unit and is  
 20 restricted to one percent.  
 21 Q. Would you accept the contention that if as  
 22 we've seen, and I think it's probably  
 23 demonstrable, that these models are the  
 24 subject to such wide variances from actual  
 25 monitor results, that that might imply that

Page 114

1 2.5 which is a health risk issue. We have had  
 2 many complaints by people in the area with  
 3 respect to children, the Cantox reports that  
 4 had been done, which are--I think we're pretty  
 5 well ready now to finish up the other one,  
 6 have indicated that there are issues with  
 7 asthmatic people and susceptible people with  
 8 the emissions that we emit from the plant and  
 9 we had to take action. We had to lead. I  
 10 would add that, you know, there are other  
 11 utilities in Canada who burn one percent fuel,  
 12 there are some who actually burn less. Some  
 13 is on a unit-by-unit basis, so we're not the  
 14 first by any stretch to actually be making  
 15 this move to actually clean up our act. In  
 16 most jurisdictions they have been able to  
 17 switch to natural gas or they put in, you  
 18 know, back end capture technology. We're  
 19 reluctant to go that way until we see where  
 20 we're going to get with natural gas supply or  
 21 a DC infeed. We don't want to throw away a  
 22 hundred and fifty or two hundred million  
 23 dollars to find that--because that would be  
 24 essentially a waste of money. We can walk  
 25 back from a one percent sulphur fuel decision

Page 116

1 there is a risk that the money being spent on  
 2 the one percent fuel might be for not in the  
 3 sense that we are trying to spend to keep up  
 4 with the model that's like trying to hit a  
 5 moving target?  
 6 A. I would tend to agree with you if we were  
 7 actually proposing to go to .6 percent to meet  
 8 the total outcome of the model, but, you know,  
 9 we're not walking all the way down the road to  
 10 adopting exactly what the model says. We  
 11 haven't split the distance, but we've gone  
 12 seventy percent of the way and hopefully  
 13 manage the rest.  
 14 Q. But certainly this comparison of predicted and  
 15 monitored concentrations is comparing  
 16 modelling to what we've presently been burning  
 17 for the last while, which is two percent?  
 18 A. Yes.  
 19 Q. And so, I guess, that's where I'm coming from.  
 20 A. But you can't discount the fact that we've had  
 21 three or four measured excursions beyond the  
 22 limit either, even though the model says that  
 23 the predicted is 1481, for instance, the  
 24 observed, I'm sorry, is 289, the predicted was  
 25 1481. We have had areas of excursion, we've

Page 117

1 had three or four events where we've actually  
 2 exceeded the regulations, so I would suggest  
 3 that, you know, depending on the loading of  
 4 the plant at the time, there are still many  
 5 numerous variables that go into that, that I  
 6 think that we could, you know, have hit those  
 7 predicted under different situations. The  
 8 model is deterministic, it's not a  
 9 probabilistic approach. It doesn't -  
 10 Q. Does it cause you any pause to consider that  
 11 the readings were isolated to that one  
 12 particular time in December of 2005 against a  
 13 back drop of 12 or 13 years of data from other  
 14 monitoring stations that never showed a single  
 15 monitored exceedance?  
 16 A. But we don't have the monitoring stations--  
 17 yes, it's a pause for concern. I understand  
 18 on that particular day we weren't at full  
 19 load, it was just a, the environmental  
 20 characteristics today wasn't--it wasn't at a  
 21 466 megawatt load which would have been a lot  
 22 worse, and the monitoring stations that we do  
 23 have are not in the designated worse areas.  
 24 It's a very, very broad area and, you know,  
 25 I'm sure that people in this room have driven

Page 119

1 A. I guess if you were to sit down and look at a  
 2 blank map of the area, I guess the first thing  
 3 would be the location of the instruments,  
 4 whether you could actually relocate them to  
 5 the appropriate locations where the modelling  
 6 predicts that we would be non-compliant. And  
 7 I guess then discussion and negotiation with  
 8 Department of Environment to look at a time  
 9 frame for testing and so on. You know, but, I  
 10 mean, the location of the instruments right  
 11 now may not be the perfect one based on the  
 12 model, and I don't know if it would ever be  
 13 perfect because you are using weather data  
 14 that does vary a little bit from year to year,  
 15 plant emission data which can change, and you  
 16 are in some sense chasing a moving target with  
 17 respect to that. I mean, the original  
 18 locations were done as best as they can. The  
 19 current model says they're somewhere else.  
 20 But, you know, I think I keep focusing back to  
 21 the fact that we've had measured non-  
 22 compliance and I can't kind of let go of that,  
 23 that we have been not modelled to be non-  
 24 compliant, we have demonstrated that we are  
 25 non-compliant. And if we were to take a

Page 118

1 over the Holyrood access road and actually  
 2 smelled the plume, smell it as you drove by,  
 3 which implies that we have an issue. But  
 4 that's antidotal information, obviously.  
 5 Q. If I might refer you to the Guidance Document  
 6 that was referred to earlier, it's attached at  
 7 CA 18.  
 8 A. Yes.  
 9 Q. And I just want to focus on 9(b) for the  
 10 moment, we've heard from Mr. Ricketts, as  
 11 you're probably aware, that there seems to be  
 12 no issue with the monitors that you have on  
 13 the ground now in terms of, you know, whether  
 14 they're technically compliant and up to code  
 15 and up to standards, et cetera. You accept  
 16 that?  
 17 A. I agree, we've spent a lot of time insuring  
 18 that.  
 19 Q. Okay. And as I--as I look at 9(b), if Hydro  
 20 were minded to pursue a 9(b) solution to this  
 21 compliance problem, what steps would you  
 22 envision that would be necessary to get down  
 23 the road of trying to come within 9(b), where  
 24 would you start?  
 25 (12:00 p.m.)

Page 120

1 portable instrument, if you can get one, and I  
 2 have no idea if you can, and run around, you  
 3 may find more, but that's speculative as the  
 4 model. You know, we're not looking for a  
 5 place where we're broke to justify why we  
 6 should be changing to one percent sulphur  
 7 fuel. We have demonstrated in the Seal Cove  
 8 station, that we're non-compliant.  
 9 Q. But, do I understand that Hydro to this point  
 10 has not even made a proposal to the Department  
 11 of Environment to establish compliance ambient  
 12 monitoring network?  
 13 A. We have a network now. Whether it's 100  
 14 percent would meet the intent of the Guidance  
 15 Document placed at the exact grid location  
 16 where they think would be the worse offenders,  
 17 we have not had any negotiation of any  
 18 consequence along those lines. We had five  
 19 instruments out there, we've already said we  
 20 probably had more than most other utilities  
 21 for a single plant and we think we have an  
 22 adequate information to justify why we need to  
 23 be moving off two percent fuel.  
 24 Q. But, does it not cause you some pause to  
 25 consider that we may be embarking on an 8, 6.5

Page 121

1 to 8 million dollar solution on an annual  
 2 basis or partial solution or whatever it would  
 3 end up being at the end of the day when as I  
 4 understand it we don't even have a letter on  
 5 file from Hydro to the department proposing a  
 6 compliance ambient monitoring network, nor do  
 7 we have a letter on file from the department  
 8 yet saying to Hydro that what you have in the  
 9 ground presently won't cut it for us? I mean,  
 10 to my way of thinking that seems to be pretty  
 11 glaring.

12 A. We have two letters on file from the  
 13 government saying weren't non-compliance which  
 14 are in evidence. We also have recorded events  
 15 where we're non-compliant. So -

16 Q. Yeah, I understand that. But, the letter from  
 17 the Department of Environment that's produced  
 18 itself sets out the monitoring network as  
 19 being a possibility, refer to that?

20 A. Yes, it does. The provisional one.

21 Q. That's at CA-5?

22 A. Yes.

23 Q. Right? The thermal generating station will be  
 24 deemed non-compliant until such time as  
 25 acceptable modelling based on current stack

Page 123

1 Q. With respect to if a further monitoring site  
 2 had to be established, I think Mr. Ricketts  
 3 probably wanted to defer to you or someone  
 4 else to what the cost of these monitoring  
 5 stations would be, what would we be talking  
 6 about, Mr. Haynes?

7 A. The last one that we established was at Indian  
 8 Pond and I believe that was in the order of  
 9 about a quarter of a million dollars to  
 10 establish what we called a mobile station.  
 11 That was a capital budget a few years ago,  
 12 which I'm pretty sure was about \$247,000 rings  
 13 a bell, but.

14 Q. If I could refer you to the correspondence  
 15 that came from Ms. Greene to the Board on  
 16 November 3rd, 2004? And I'm referring to page  
 17 6 of 7. In the top part of that page the  
 18 letter indicates that work, the work that has  
 19 been undertaken to date has identified the  
 20 lowest cost alternative to meet currently  
 21 anticipated future environmental requirements  
 22 is to reduce the sulphur content in fuel to  
 23 one percent, which will also reduce  
 24 particulates. Depending on the results of the  
 25 monitoring program over time, there may be a

Page 122

1 testing data or approved compliance monitoring  
 2 in areas of exceedances demonstrate  
 3 compliance. And then they specifically refer  
 4 to the attached Guidance Document. So, aren't  
 5 they telling you that, you know, this is a  
 6 viable option?

7 A. They're implying that we can do all that, but  
 8 we have still had occasions of non-compliance.  
 9 We have had measured events of non-compliance.  
 10 So, it's not that we have no time frames of  
 11 the fact that the instruments didn't register  
 12 that we were non-compliant besides the  
 13 modelling. We do have substantiation that  
 14 we're not compliant.

15 Q. Yeah. But, you also, do you not, have  
 16 substantiation going back 12 or 13 years of  
 17 showing steady compliance throughout that  
 18 whole time period under, goodness knows, a  
 19 variety of different circumstances and  
 20 scenarios, wind share and temperature and  
 21 load, etcetera? And is there any--do you  
 22 ascribe any weight to that past data?

23 A. Yes. The instruments in that location have  
 24 not picked up that we've been out of  
 25 compliance, that's correct.

Page 124

1 need to reduce the sulphur content to less  
 2 than two percent to bring the emissions to an  
 3 acceptable level. And there's a reference to  
 4 the monitoring program as being a driver of  
 5 that decision?

6 A. Yeah.

7 Q. Okay. And I take it it's the single, it's the  
 8 single showing from December, 2005 which  
 9 constitutes the results of the monitoring  
 10 program that gets us to this, to where we are  
 11 today?

12 A. That's a part of it. When we started looking  
 13 at one percent sulphur fuel or other things,  
 14 we had set several goals. Obviously sulphur  
 15 was one. Particulates was another that we  
 16 were looking to reduce the particulates  
 17 because we do exceed the opacity regulations,  
 18 we do actually, you know, can get fined by the  
 19 department for violating that. And there are,  
 20 you know, when you're firing up a gun or  
 21 starting up a furnace, there are provisions,  
 22 you know, to exceed that regulation  
 23 occasionally, but we anticipate that we will  
 24 be in violation of that several times. Part  
 25 of the goal was to reduce the particulates, to

Page 125

1 reduce the sulphur dioxide, and going to one  
 2 percent sulphur fuel would, in our minds,  
 3 would achieve that. We would have a reduction  
 4 in the particulates, we would have a  
 5 reduction--and the opacity was, you know, a  
 6 visual one, more or less. The reduction fuel  
 7 also reduces the PM 2.5, which is a public  
 8 health issue. We do have a community liaison  
 9 group there which Department of Health have  
 10 representatives on and basically it is a  
 11 subject of some concern, as evidenced by being  
 12 the fifth single point emitter of PM 2.5 in  
 13 the country. And this will alleviate, in a  
 14 large part, that we expect to see a 20 or 30  
 15 percent reduction in the fines, as well, which  
 16 is a public health issue.

17 Q. The Acres Report talked in brief terms about  
 18 fuel additives as a way of reducing total  
 19 particulate to the tune of, say, 50 to 60  
 20 percent?

21 A. Yes, they did say that.

22 Q. And I guess I presume that the cost of the  
 23 proprietary fuel additive is not as subject to  
 24 fluctuation like the difference between two  
 25 percent and one percent, the incremental cost

Page 127

1 A. I'm not sure if there's been a big study on  
 2 that. We are familiar with the Comate trial  
 3 that we did which basically, you know, it  
 4 keeps the boiler a bit cleaner and keeps, you  
 5 know, the air heaters, heat exchanges cleaner  
 6 and so on. But, you know, as the, you know,  
 7 the ash does leave the stack, so it goes up in  
 8 the air somewhere. And then there's an issue  
 9 of the particle size, 2.5 PM 10 or whatever.

10 Q. To your knowledge do the vendors of these  
 11 proprietary fuel additives indicate that you'd  
 12 seen loss of efficiency?

13 A. I can't speak with any authority on that  
 14 there.

15 Q. And in terms of, you know, an annual cost of  
 16 the fuel additives, provided that it made  
 17 sense from an efficiency point of view,  
 18 etcetera, do we have any sense or do you have  
 19 any sense as to what the annual cost would be?

20 A. Not the cost that Acres were referring to. I  
 21 mean, our cost of fuel additive right now  
 22 could be, you know, 150,000 to three or four  
 23 hundred thousand a year, depending on the type  
 24 and the amount, obviously. But, I don't know,  
 25 through the Acres' comment, I do not know the

Page 126

1 difference?

2 A. It's, we haven't pursued that, as you know.  
 3 But, the--if you were to go--when we burn, the  
 4 ash, all the residue goes somewhere. It  
 5 either stays in the boiler and slags up,  
 6 blocks up, reduces efficiency or it goes up  
 7 the stack. And if we were to--you know, the  
 8 focus of our fuel additives to date has been  
 9 to increase efficiency. If you change the  
 10 focus to actually increase the--to reduce the  
 11 particulate emission, then generally speaking,  
 12 and that slag, ash, whatever, is going to stay  
 13 in the boiler, it's going to stick to the  
 14 walls, it's going to block air heaters, it's  
 15 going to reduce efficiency. I think, you  
 16 know, you would have to look at a fairly  
 17 comprehensive economic evaluation and our gut  
 18 says that we're going to lose so much on  
 19 efficiency that, you know, our gut, we did not  
 20 do a study, but we would lose a lot of  
 21 efficiency if we were to retain all that ash  
 22 in the boiler.

23 Q. In terms of, has that been studied, to your  
 24 knowledge, at other utilities in terms of the  
 25 loss of efficiency?

Page 128

1 answer of what their--you know, there's dozens  
 2 of different fuel additives that they all plan  
 3 to do this and do that and make your life  
 4 easier and we've trialed a few years ago,  
 5 which, you know, have not been effective.  
 6 Magnesium oxide is pretty well the standard  
 7 for an oil-fired plant.

8 Q. And is the one that was tried a few years ago,  
 9 was that one where the--is that produced by a  
 10 vendor which claimed that it reduced  
 11 particulates 50 to 60 percent?

12 A. No, I don't think so. I think our focus has  
 13 been, as I said, efficiency is what we've been  
 14 striving for, to increase our 600 kilowatt  
 15 hours per barrel as high as we could get it.

16 Q. Okay. Is there any reason that Hydro has not  
 17 delved more deeply into what would be the  
 18 technical ramifications of switching to one of  
 19 these fuel additives from the point of view  
 20 efficiency and actually trying to quantify  
 21 what the impact would be?

22 A. We don't think it's a solution. We have not  
 23 pursued it in any great detail at all. You  
 24 know, we're trying to fix several issues. I  
 25 mean, we could fix sulphur dioxide--sorry. We

Page 129

1 could do other capital things to prevent, to  
 2 help the particulate emissions, the sooting  
 3 that we do on our neighbours and so on. We  
 4 see the one percent sulphur fuel as trying to  
 5 alleviate two or three different issues and  
 6 being the compromise that brings us largely  
 7 into compliance that covers of particulate,  
 8 fine particulate and sulphur emissions. You  
 9 know, there's two or three benefits. You  
 10 know, if you were to go and speak to a--if we  
 11 were to pursue, and I'm--you know, fuel  
 12 additive people, I don't think anybody is  
 13 going to have a fuel additive that's going to  
 14 help sulphur dioxide emissions. It may be  
 15 particulate. But, sulphur, it basically is a  
 16 formula that's in one of these reports here  
 17 which pretty well tells you exactly what  
 18 sulphur emissions you're going to have, your  
 19 total discharge based on fuel content that you  
 20 burn.  
 21 Q. And I guess the complaints, would it be fair  
 22 to say that the complaints you've been  
 23 getting, they really have to do more about  
 24 particulate?  
 25 A. And sulphur, the smell.

Page 131

1 the fuel, chemistry says there should be less  
 2 sulphur gas emitted. And then, of course,  
 3 we're burning less, there'll be less at the  
 4 stacks.  
 5 Q. Okay.  
 6 A. But, that's chemistry and I'm not good at  
 7 chemistry, I'm afraid.  
 8 Q. Thank you, very much, Mr. Haynes.  
 9 CHAIRMAN:  
 10 Q. Thank you, Mr. Johnson. Mr. Hayes, do you  
 11 have any questions?  
 12 MR. HAYES:  
 13 Q. No questions, Mr. Chair.  
 14 CHAIRMAN:  
 15 Q. Thank you. Ms. Newman?  
 16 MS. NEWMAN:  
 17 Q. I have just a couple, actually. Going to the  
 18 February 9th letter from government to Hydro,  
 19 it's at CA-5, I believe it is.  
 20 A. Okay.  
 21 Q. And where it says that, you know, Hydro has  
 22 the option of approved compliance monitoring  
 23 in areas of exceedances demonstrating  
 24 compliance. And you had indicated, well,  
 25 that's maybe not an option because there was

Page 130

1 Q. The smell, too.  
 2 A. There is a smell, an odour issue. Smoke is on  
 3 the ground. And the particulate issues are,  
 4 too. One is the sooting that occasionally  
 5 happens when we have an upset or whatever,  
 6 which we look after, and the other one is the  
 7 fine particulate because people see that as a  
 8 health issue. You know, we've had, you know,  
 9 complaints about discolouring of siding they  
 10 blame on us and so on. We don't accept that,  
 11 but that's their claim. But, in the PM 2.5,  
 12 that is a health concern and one which we are  
 13 anxious to help reduce.  
 14 Q. Can you still smell the--have you been out to  
 15 Holyrood since the switch-over to one percent,  
 16 can you still smell the sulphur?  
 17 A. Well, I've only rarely smelled it, but, you  
 18 know, there's a smell of sulphur two or three--  
 19 first of all it's the emissions, the other  
 20 one is just off the tanks themselves. But, I  
 21 mean, there's less--there should be less, I  
 22 can't remember the sulphur gas that comes off  
 23 the tank itself. You know, we get some  
 24 complaints when we're actually filling the  
 25 tanks. But, I mean, there's less sulphur in

Page 132

1 already demonstrated monitored exceedances?  
 2 A. Yes.  
 3 Q. Have there been any since the date of this  
 4 letter?  
 5 A. Non-compliances?  
 6 Q. Um-hm.  
 7 A. Not that I'm aware of.  
 8 Q. Okay. So, those exceedances would have  
 9 predated this letter?  
 10 A. Yes. They were in December, I believe, those  
 11 particular ones.  
 12 (12:15 p.m.)  
 13 Q. Okay. And would the department have been  
 14 aware of those?  
 15 A. We send in our data regularly. Now, whether  
 16 they actually take the time to go down and  
 17 scrutinize it, I can't tell you that and I  
 18 don't know. We send them a tremendous amount  
 19 of information.  
 20 Q. So, they likely would have had the information  
 21 available to know that there was these  
 22 exceedances and -  
 23 A. I would anticipate that they did.  
 24 Q. But, they wrote on February 9th to say that  
 25 that was an option, to do compliance

Page 133

1 monitoring?  
 2 A. Yes, they did.  
 3 Q. I want to look to now CA-6 and lines 14 to 17.  
 4 And that's the details around the actual  
 5 exceedances.  
 6 A. Yes.  
 7 Q. So, it looks to me like they were at 1600  
 8 hours, 970 and at 1700 hours, 1106 and at 1800  
 9 hours, 1044?  
 10 A. Yes.  
 11 Q. So, they would appear to me from a layperson  
 12 to be marginally over the 900 versus what the  
 13 modelling was showing, which was dramatically  
 14 over the 900?  
 15 A. They're marginally over the 900, which is the  
 16 one-hour limit, yes.  
 17 Q. Yes. And that's the only exceedances that  
 18 Hydro has monitored and found?  
 19 A. Yes. Now, I believe the three-hour limit is  
 20 600, I believe, so I would expected that if we  
 21 were over at 16, 17 and 18, we probably  
 22 exceeded the three-hour limit, as well,  
 23 although there's no comments there on that.  
 24 Q. Yeah, that hasn't been presented.  
 25 A. No, no. The three-hour limit is in one of the

Page 135

1 could, in a particular instance, meaningfully  
 2 work it backwards. We could probably give it  
 3 a go, but.  
 4 MS. NEWMAN:  
 5 Q. Okay.  
 6 MR. YOUNG:  
 7 Q. I'm not sure that science is reliable. Based  
 8 on what I've been hearing from other people in  
 9 other instances.  
 10 MS. NEWMAN:  
 11 Q. Yeah. If you could undertake to try that, it  
 12 would be great. And the last point that I  
 13 wanted to touch upon was the actual timing of  
 14 the purchases of the one percent fuel. I did  
 15 ask this question of Mr. Ricketts, as well,  
 16 and he suggested it may be you that should  
 17 answer it and Mr. Young suggested it may be he  
 18 that has to answer it, so I'll put it to you  
 19 and see. The one percent fuel was purchased  
 20 by Hydro initially in January?  
 21 A. We've had two shipments of one percent fuel to  
 22 date. The first one was ordered for,  
 23 actually, the order was placed for February,  
 24 but they wanted to deliver on January which we  
 25 agreed to as long as we had the February

Page 134

1 reports there.  
 2 Q. So, we can assume then that this was the only  
 3 exceedance? Are you satisfied with that?  
 4 A. That's all I'm aware of, yeah.  
 5 Q. I wonder would you be able to tell me what  
 6 change in sulphur content in fuel would be  
 7 necessary to meet the worst of these  
 8 exceedances that were actually found?  
 9 A. You mean to get these below the limit?  
 10 Q. Yes. Below the 900.  
 11 A. I can't do that offhand.  
 12 Q. Can you undertake to provide it to us?  
 13 A. Yes. I think it's a matter of calculating  
 14 from some of the information that's in one of  
 15 the reports there to actually work backwards,  
 16 but I'll--I'm assuming it could be done, but -  
 17 MR. YOUNG:  
 18 Q. And I'm well in over my waders, as someone has  
 19 pointed out to me before on one of these  
 20 technical issues. I'm not sure that could be  
 21 done. There is an answer which sort of works  
 22 back to see what we need, and that's the  
 23 reference that has been made several times by  
 24 Mr. Ricketts and Mr. Haynes about the .6  
 25 percent. But, I don't know whether or not you

Page 136

1 price. The second delivery was around March  
 2 the 17th, I believe, somewhere in that time  
 3 frame. And the extra cost actually was 91  
 4 cents a barrel for one and I think about 60  
 5 odd cents for the other was the actual, the  
 6 incremental cost of the one percent versus two  
 7 percent.  
 8 Q. And clearly there's no order of the Board with  
 9 respect to approval of this particular expense  
 10 yet?  
 11 A. That's correct.  
 12 Q. Is Hydro seeking the recovery of that cost  
 13 differential in the RSP calculation beginning  
 14 in July 1 for Newfoundland Power and then for  
 15 January 1 for the Industrial Customers?  
 16 A. Yes, we are.  
 17 Q. Those are all my questions.  
 18 CHAIRMAN:  
 19 Q. Thank you, Ms. Newman. Commissioner Whalen.  
 20 VICE-CHAIR WHALEN:  
 21 Q. Good afternoon, Mr. Haynes, nice to see you  
 22 again. I thought I didn't have any questions  
 23 except when you were talking with Mr. Johnson  
 24 about the issue of compliance and your comment  
 25 that we couldn't--we shouldn't forget that

Page 137

1 we've had three or a number of them, there was  
 2 one and then there was three or four instances  
 3 of non-compliance, and I just wanted to be  
 4 sure that I understood what is the test for  
 5 compliance. The Guidance Document itself  
 6 actually, as I read it, states categorically  
 7 that compliance for a facility will be  
 8 determined based on the predicted levels for  
 9 all locations at or beyond the administrative  
 10 boundaries. So my understanding is that  
 11 compliance is not based on your ambient--your  
 12 hourly numbers. So if you had submitted those  
 13 to the Department of Environment, based on  
 14 this, I don't think the Department would have  
 15 deemed you to be non-compliant for the  
 16 purposes of this, these standards, I think.  
 17 A. You're probably right, but I suspect that they  
 18 will find a way, because basically what  
 19 they're going to do is they're going to look  
 20 at--I mean, I think somebody speculated one  
 21 time we needed to be running around with a  
 22 meter looking for where we're not compliant.  
 23 But I mean, the regulations change, the  
 24 interpretations change as well.  
 25 Q. But this Guidance Document, as you stated this

Page 139

1 that.  
 2 Q. Okay. I was just wondering because January  
 3 2005, you would have been burning two percent  
 4 sulphur fuel. So the next time the dispersion  
 5 modelling is undertaken, it will reflect that  
 6 change.  
 7 A. Yes, except the stack testing, if that's done  
 8 in the fall, when we get all the machines  
 9 back, it will be based on one percent sulphur  
 10 fuel, if we do it in this fall, this coming  
 11 fall or -  
 12 Q. This coming fall, so you won't actually  
 13 capture the impact of moving to two percent.  
 14 It'll kind of be lost in the transition, if  
 15 this moves. And I guess, the one thing that I  
 16 remember from my graduate work is that the  
 17 only thing we know for certain is that the  
 18 results of all modelling is wrong.  
 19 A. Absolutely, I won't argue with you there.  
 20 Q. And I guess, you know, just going back, these  
 21 exceedances that were measured in December, we  
 22 could actually have dispersion modelling for  
 23 2005 that would show you to be compliant, even  
 24 with those ambient exceedances measured on a  
 25 one-of?

Page 138

1 morning, which we're not sure was being used  
 2 with its full force, I guess, I understood,  
 3 prior to this, does state that "compliance  
 4 with the ambient air quality standards will be  
 5 determined through a dispersion model  
 6 registered with the Department and conducted  
 7 in accordance with GDPD." So it is the  
 8 dispersion modelling results that determines  
 9 compliance with the air quality standards and  
 10 not the single one of readings.  
 11 A. That's my understanding, yes.  
 12 Q. That's my understanding. Is the 2005  
 13 dispersion modelling currently under way?  
 14 A. I don't--I think we had to do stack testing to  
 15 do all that. It seems to me it's every second  
 16 year. I'm not certain on that answer.  
 17 Q. So you've got a 2004 testing done, you  
 18 wouldn't be doing a modelling for 2005 itself?  
 19 A. I don't think so. We do the stack--you know,  
 20 we do the in situ stack emission testing every  
 21 second year and that's an input into that  
 22 particular review.  
 23 Q. So it isn't an annual--it's not an annual  
 24 dispersion modelling?  
 25 A. I don't think so, but I'm not 100 percent on

Page 140

1 A. I would think that's possible, but I also  
 2 suspect that there will be a lot of scrutiny  
 3 of the data as well, to ensure that it's--you  
 4 know, that they're tweaking and tuning the  
 5 model for the actuals.  
 6 Q. Yes.  
 7 A. Which they talk about in the SENES report as  
 8 well.  
 9 Q. So the basis on which you're moving forward  
 10 with the move to one percent is based on the  
 11 Department's deeming Hydro to be non-compliant  
 12 on the basis of the 2004 dispersion modelling  
 13 results, which shows the--what I understand to  
 14 be fairly low frequency of exceedances on the  
 15 one-hour and three-hour?  
 16 A. Yes.  
 17 Q. Particularly.  
 18 A. I think the three-hour, it was 70 hours in a  
 19 year for the three-hour.  
 20 Q. And the one hour, I think, was .06 or  
 21 something, similar number.  
 22 A. Yeah, it was about five hours or so.  
 23 Q. Five hours, yes.  
 24 A. I would just add that on the three-hour one, I  
 25 mean, while it's 70 hours, that could be

Page 141

1 spread over a long period of time as the plant  
 2 cycles up and down in load.  
 3 Q. Sure. Okay, that's all I have. Thank you,  
 4 Mr. Haynes.  
 5 CHAIRMAN:  
 6 Q. Thank you, Commissioner Whalen. Mr. Haynes, I  
 7 have just one area of questioning, and it  
 8 relates to, I raised the issue with Mr.  
 9 Ricketts about Hydro being, I think, the fifth  
 10 worst polluter in Canada, by some measure, in  
 11 any event, and you've mentioned it three times  
 12 here this morning, if I recall it correctly.  
 13 I did ask him about that, I guess, and with  
 14 respect to what degree reducing SO2 emissions  
 15 would improve that, and I'm a little bit  
 16 confused with what you said and what he said,  
 17 and I'm going to break my own rule here now,  
 18 which is not to read long lengthy transcript  
 19 pieces.  
 20 He commented, "we did have the notoriety  
 21 of, you know, being picked on. We report  
 22 annually to the National Pollutant Research  
 23 Inventory, a national database for collection  
 24 of pollutant releases, and overall individual  
 25 pollutants are put into the data relating to

Page 143

1 electrostatic precipitators or bag houses or  
 2 whatever to capture that particulate before it  
 3 goes out the stack. Ours was built in a time  
 4 when it wasn't required and hasn't been  
 5 upgraded to do that."  
 6 Now you mention that, the idea that Hydro  
 7 is, like I say, fifth in the nation in terms  
 8 of its categorization, I guess, as a polluter.  
 9 You did mention, throughout the course on a  
 10 number of occasions too, that you're hoping  
 11 that certainly with the new Board of  
 12 Directors, with the new view of management  
 13 here and using the reduced sulphur content of  
 14 fuel, that indeed you're hoping to cover off  
 15 fine particulates. You're anxious to help  
 16 reduce the particulates as well. Now I  
 17 didn't--there seems to be a bit of a  
 18 disconnect, and maybe I'm just  
 19 misunderstanding, between what you're saying  
 20 and what Mr. Ricketts said here. He seemed to  
 21 indicate that yes, certainly with regard to  
 22 SO2 emissions, that would be substantially  
 23 reduced, but he didn't suggest that by virtue  
 24 of doing that with the lower content, sulphur  
 25 content in the fuel, that indeed that was

Page 142

1 your annual volumetric releases, the same  
 2 calculation we report annually to the  
 3 Department of Environment, and we were the  
 4 fifth largest emitter of fine particulate in  
 5 the nation, in that time, in that year, and  
 6 that was picked up by the media."  
 7 My question to him was "so would that be  
 8 primarily in respect of what, SO2?" "No,  
 9 that's fine particulate which is the  
 10 particulate, yeah, we're a lesser emitter of  
 11 sulphur dioxide overall in terms of volume  
 12 annually than many others. You know, smelters  
 13 produce a lot of sulphur dioxide, other  
 14 utilities, larger capacity systems produce and  
 15 use sulphur dioxide" dah, dah, dah. My  
 16 question then, "so are you doing anything to  
 17 mitigate that or have you done anything?" "We  
 18 have no capture technology," he says. "We  
 19 have no capture technology on Holyrood at all.  
 20 The majority of similar types of plants  
 21 operating in the U.S. or in Canada has some  
 22 form of capture technology, especially related  
 23 to particulate, and that's why ours would be  
 24 high. We have no back end capture for  
 25 particulate but many of the others would have

Page 144

1 going to affect these other things.  
 2 So presumably, from what he said, I sort  
 3 of got the impression that indeed that ranking  
 4 may not change at all as a result of that, and  
 5 I think I did ask later on, and I won't get  
 6 into reading that, what plans did Hydro have  
 7 to perhaps reduce that aspect of it, which is  
 8 the fine particulate, the sooting, I  
 9 understand, and all that that you commented on  
 10 as well. And I didn't get the impression  
 11 there was anything that you were contemplating  
 12 in that area or that the management or the  
 13 Board of Directors would be, for example. Can  
 14 you comment on that for me?  
 15 (12:30 p.m.)  
 16 A. When you move to one percent sulphur fuel, if  
 17 you--I can't find the actual reference in the  
 18 Acres report and I've seen it in other places,  
 19 through EnerCan publications and so on, but  
 20 when you do move to a lower sulphur fuel,  
 21 there's other characteristics in the fuel that  
 22 change. The ashphaltenes are lower. There's  
 23 a whole bunch of chemistry that--it's not just  
 24 sulphur that changes. And when you burn lower  
 25 sulphur fuel, I think in our actual filing, we

Page 145

1 mentioned that we might be up to a 40 to 60  
 2 percent reduction in the total particulates  
 3 that we emit, because of the fuel chemistry.  
 4 And then there is--somewhere else in the  
 5 document, it says that we can anticipate maybe  
 6 a 30 percent decrease in the PM 2.5 emissions  
 7 by going to one percent sulphur fuel. So one  
 8 percent sulphur does a few things. It reduces  
 9 the total particulate and it reduces the fine  
 10 particulate, PM 2.5, which is the one that  
 11 most--which is breathable and gets actually  
 12 into your lungs. So there are those three  
 13 benefits. We anticipate seeing a reduction  
 14 and if I recall correctly, when we actually  
 15 switched to lower sulphur fuel, there was  
 16 obviously a sharp reduction in the sulphur  
 17 that we're measuring and also the opacity is  
 18 not as high. But I -  
 19 Q. So that results all from the fuel?  
 20 A. All from one percent fuel.  
 21 Q. I see, because, you know, I don't--I didn't  
 22 get that impression here, because he seemed to  
 23 say that there was no capture technology  
 24 available, that that wouldn't result -  
 25 A. No, it would -

Page 147

1 A. We have money in the future in the capital  
 2 plan, but they're not firm yet. You know, we  
 3 talked about a cyclone. We've talked about  
 4 screens. We talked about an ESP to do some of  
 5 these things, but they have not been put  
 6 forward to the Public Utilities Board for  
 7 consideration as yet.  
 8 Q. In terms of the neighbourhood complaints and  
 9 the community complaints, do they revolve  
 10 around the particulates more so than the SO2?  
 11 A. They evolve around everything. Our complaints  
 12 are, you know, odour, visibility and, you  
 13 know, sometimes noise, as well, which is part  
 14 of the issue, but not related to fuel. But  
 15 they basically complain about those things.  
 16 We did review this with the community liaison  
 17 committee, who were very, very pleased that  
 18 we're going this way. However, to say that  
 19 they were "that's it, we're finished,"  
 20 definitely not there. They want a lot more  
 21 done, particularly the councils of Holyrood  
 22 and CBS would like to see, you know, the  
 23 visible things disappear, the whole thing be a  
 24 lot more environmentally benign than it is or  
 25 than we can actually make it. The only way to

Page 146

1 Q. - as a result, that wouldn't reduce the  
 2 particulates measurably, in any event.  
 3 A. We should not be in the top ten PM 2.5s if we  
 4 move to one percent sulphur fuel. Matter of  
 5 fact, on page 4-6 of the Acres report there,  
 6 in the first paragraph under 4.2.3.1 it says  
 7 "it was estimated that reducing sulphur fuel  
 8 content to one percent will reduce total  
 9 particulate emissions in the range of 40 to 60  
 10 percent with no change in the particular size  
 11 distribution profile," etcetera. And the next  
 12 paragraph on the same page says "on this  
 13 basis, it is considered that a reduction in  
 14 fuel sulphur content would yield a reduction  
 15 in the PM 2.5 emissions in the range of up to  
 16 about 30 percent." So one percent fuel  
 17 doesn't just help sulphur. It also helps the  
 18 particulate, both the total particulate and  
 19 the PM 2.5, which is the one--we were written  
 20 up on PM 2.5. That was that particular  
 21 article in the paper that singled us out as  
 22 being the fifth largest single point emitter.  
 23 So there are -  
 24 Q. Are you taking other measures to reduce the  
 25 particulates overall?

Page 148

1 fix the whole is to go in and spend, I'll say,  
 2 you know, 150 to 200 million dollars to  
 3 actually put in state-of-the-art capture  
 4 technology, which we're reluctant to bring  
 5 forward. We think this is a compromise  
 6 that'll buy us time to see where natural gas  
 7 goes, because that will change what we do. We  
 8 may not need--we certainly wouldn't need  
 9 desulphurization technology if we go with  
 10 natural gas. Whether we need ESPs, I don't  
 11 think so, but that's not necessarily ruled  
 12 out. And of course, a DC infeed would  
 13 basically put the plant to a standby status  
 14 anyway.  
 15 Q. Okay.  
 16 VICE-CHAIR WHALEN:  
 17 Q. Can I just ask -  
 18 CHAIRMAN:  
 19 Q. Sure.  
 20 VICE-CHAIR WHALEN:  
 21 Q. - is Hydro in violation of any air quality  
 22 standards with respect to its particulates 2.5  
 23 or 10?  
 24 A. I think we've had some excursions there, but I  
 25 can't speak--I mean, the letter says--the

Page 149

1 letters say different things different times.  
 2 One talks about sulphur particulate and  
 3 nitrous oxide. The other one, one letter, I  
 4 think, just dropped--happened to drop one of  
 5 those.  
 6 Q. Yes, that's my point, is that the letter, the  
 7 February 9th letter just makes specific  
 8 reference to sulphur dioxide and nitrous oxide  
 9 and doesn't make any mention of your PM  
 10 numbers at all.  
 11 A. Of PM 2.5, no, it doesn't. But it would be--I  
 12 think the earlier or the later letter actually  
 13 did mention that. It's a bit of a moving  
 14 target at times.  
 15 CHAIRMAN:  
 16 Q. Mr. Young, are there any questions relating to  
 17 the Board questions? No? Mr. Young,  
 18 redirect?  
 19 MR. YOUNG:  
 20 Q. I have just one, and it arises from the last  
 21 question actually. I wonder, Mr. Haynes, if  
 22 you could turn to page CA-4, and this is  
 23 really just to identify for the benefit of the  
 24 Board, and I'd also refer you to--lost my page  
 25 here. What I was struggling to do as you were

Page 151

1 testimony has closed, what might be the  
 2 easiest way to do that. It's really just an  
 3 issue of making sure that the information gets  
 4 out and before the parties.  
 5 MS. NEWMAN:  
 6 Q. We'll talk about that after.  
 7 MR. YOUNG:  
 8 Q. Okay.  
 9 MS. NEWMAN:  
 10 Q. You just put it in writing probably, but we'll  
 11 work it out.  
 12 MR. YOUNG:  
 13 Q. I sometimes find with those, Mr. Chair, it's  
 14 best to look at the transcripts to determine  
 15 exactly what the undertaking was, and then  
 16 everyone understands what they should expect  
 17 to receive.  
 18 CHAIRMAN:  
 19 Q. Leave that to you and Ms. Newman.  
 20 MS. NEWMAN:  
 21 Q. Yes, we'll work it out.  
 22 CHAIRMAN:  
 23 Q. That's okay.  
 24 MS. NEWMAN:  
 25 Q. Mr. Chairman, also counsel have discussed

Page 150

1 saying, I realize that some of these issues  
 2 that you've just raised were discussed, if not  
 3 exactly the same question and in the same way,  
 4 but were discussed in the information  
 5 requests. CA-4, Mr. Haynes, refers to a  
 6 slightly different question, but it does, on  
 7 page--turn to page 204, about the middle of  
 8 the page, starting there. There's some  
 9 discussion of the link between sulphur content  
 10 and particulate matter emissions, and I'm not  
 11 going to wade through the chemistry of that or  
 12 ask Mr. Haynes to do it at this point, Mr.  
 13 Chair, unless you want to do that, but there  
 14 is at least one other reference in there also  
 15 we can probably refer to in argument. And  
 16 that's all we have in the matter of testimony.  
 17 Thanks.  
 18 CHAIRMAN:  
 19 Q. Okay. Thank you very much. I think that  
 20 brings us to a conclusion. Any questions  
 21 arising? I thought I'd asked that already.  
 22 MR. YOUNG:  
 23 Q. I probably should jump in. There was an  
 24 undertaking or two that come up in the last  
 25 half hour or so, and I don't know, now that

Page 152

1 closing arguments and would like to propose  
 2 that written arguments be filed by the end of  
 3 the week, by Friday.  
 4 CHAIRMAN:  
 5 Q. Sounds good to me. I think we have--we  
 6 normally would look at oral and written, but I  
 7 think there's a problem with scheduling over  
 8 the next couple of weeks in any event. So I  
 9 guess we'll rely on written. We have the  
 10 transcripts. It's only two days. I think we  
 11 have a good feel, supplemented by the written  
 12 argument, I think should suffice.  
 13 HUTCHINGS, Q.C.:  
 14 Q. Obviously, Mr. Chair, if after review of the  
 15 written argument, the Board feels it needs  
 16 oral submission, you can always schedule it.  
 17 CHAIRMAN:  
 18 Q. Yes, sure. Appreciate that, yes.  
 19 MR. YOUNG:  
 20 Q. Mr. Chair, the other comment I'd make in that  
 21 regard is that the standard approach in any  
 22 argument, I suppose, is the applicant goes  
 23 first and then the others have an opportunity  
 24 to rebut that and then the applicant has an  
 25 opportunity to deal with points arising. The

1 nature of this, it's mostly very technical. I  
 2 would imagine one good thorough go around by  
 3 everyone will do, but I just want to make the  
 4 point that if something arises that we feel  
 5 requires a second comment, I'd ask the Board  
 6 to stay aware that--to compress the schedule,  
 7 we're willing to go this way, but we may wish  
 8 to ask for an opportunity to rebut, in a  
 9 reasonable period of time.

10 CHAIRMAN:

11 Q. Anybody have any objection to that? I think  
 12 that's reasonable.

13 MR. YOUNG:

14 Q. I don't anticipate that to occur, but, you  
 15 know, leave the option open.

16 HUTCHINGS, Q.C.:

17 Q. Yes. It would be the same situation for  
 18 everybody, if there was a necessity to rebut,  
 19 I guess.

20 CHAIRMAN:

21 Q. Hopefully we wouldn't have too many  
 22 iterations. Okay. Anything else? Okay.  
 23 This brings us to a close. I want to thank  
 24 you very much, Mr. Haynes, for your testimony  
 25 here this morning. Thank everybody for your

1 cooperation and as well, the staff for their  
 2 preparation prior to the hearing and indeed,  
 3 throughout, and then thanks to Discoveries  
 4 Unlimited as well. So we look forward to your  
 5 final written argument on Friday and we'll  
 6 certainly do our utmost to turn this around as  
 7 quickly as possible. Thank you very much.  
 8 Good day.

9 UPON CONCLUSION AT 12:40 p.m.

1 CERTIFICATE  
 2 I, Judy Moss, hereby certify that the foregoing is  
 3 a true and correct transcript of an application by  
 4 NL Hydro for Approval of Recovery of Costs of 1%  
 5 Fuel through the Rate Stabilization Plan, heard on  
 6 the 8th day of May, A.D., 2006 before the Board of  
 7 Commissioners of the Public Utilities Board, St.  
 8 John's, Newfoundland and Labrador and was  
 9 transcribed by me to the best of my ability by  
 10 means of a sound apparatus.  
 11 Dated at St. John's, Newfoundland and Labrador  
 12 this 8th day of May, A.D., 2006  
 13 Judy Moss